

FEDERAL SUBSISTENCE BOARD

SPECIAL ACTION MEETING

TELECONFERENCE - ALASKA

May 1, 2020

MEMBERS PRESENT:

Anthony Christianson, Chairman
Rhonda Pitka
Chad Padgett, Bureau of Land Management
Greg Siekaniec, U.S. Fish and Wildlife Service
Joshua Ream, National Park Service
Gene Peltola, Bureau of Indian Affairs
David Schmid, U.S. Forest Service

Ken Lord, Solicitor's Office

Recorded and transcribed by:
Computer Matrix Court Reporters, LLC
135 Christensen Drive, Second Floor
Anchorage, AK 99501
907-243-0668; sahile@gci.net

P R O C E E D I N G S

(Teleconference - 5/1/2020)

(On record)

(Operator instructions)

MR. DOOLITTLE: Thank you very much, Operator. Welcome everybody this afternoon. As usual, as we did in the last few meetings is I will at the discussion of the Chair after I get a preliminary roll call to make sure that we have folks online we will go to the agenda after that and turn it over to the Chair.

As a reminder, this meeting is for Fisheries Temporary Special Action Request 20-01, 02 and 03, related to Kuskokwim salmon. So we have three parts to the agenda. One is to review and adopt the special action, address the special and adjourn.

I'll start right now to see if we have a Board and other folks that are imperative to this process that are online right now in the speaker's room. I'll start with National Park Service, Joshua Ream.

MR. REAM: Good afternoon, everyone. This is Joshua Ream and I am representing the National Park Service on behalf of Don Striker today. Don had a compulsory meeting that overlapped and he wishes he could be here.

Thank you.

MR. DOOLITTLE: Thank you, Josh.

Bureau of Land Management. Is Chad Padgett online.

MR. PADGETT: I am. Thank you, Tom.

MR. DOOLITTLE: Thank you, Chad.

U.S. Fish and Wildlife Service, Greg Siekaniec online.

MR. SIEKANIEC: Yes, Tom, I am online. Thank you.

1 MR. DOOLITTLE: Okay. Thank you, Greg.
2
3 U.S. Forest Service David Schmid, are
4 you online.
5
6 MR. SCHMID: Yeah. Good afternoon,
7 Tom. I'm here.
8
9 MR. DOOLITTLE: Okay. Thank you, Dave.
10
11 Bureau of Indian Affairs, Gene Peltola,
12 are you online.
13
14 MR. PELTOLA: Ii-I. Yes.
15
16 MR. DOOLITTLE: Okay. Good, Gene.
17 Good to hear your voice.
18
19 Public Member Rhonda Pitka.
20
21 MS. PITKA: Hi, I'm here.
22
23 MR. DOOLITTLE: Great, Rhonda.
24
25 Public Member Charlie Brower, are you
26 on the phone.
27
28 (No response)
29
30 MR. DOOLITTLE: No Charlie.
31
32 Chairman Anthony Christianson, are you
33 online.
34
35 (No response)
36
37 MR. DOOLITTLE: Okay. We'll wait for
38 Charlie and Tony to come online.
39
40 Ken Lord, are you online.
41
42 MR. LORD: Hey, Tom. I'm here.
43
44 MR. DOOLITTLE: Okay, Ken. Any other
45 counsel? Mike Routhier, are you online?
46
47 (No response)
48
49 MR. DOOLITTLE: No Mike.
50

1 MR. REAKOFF: Jack Reakoff here, WIRAC.
2
3 MR. DOOLITTLE: Okay, Jack. I'll get
4 to the RACs here in a bit, but thank you, sir.
5
6 Steve Wackowski, are you online.
7
8 (No response)
9
10 MR. DOOLITTLE: No Steve.
11
12 Ben Mulligan.
13
14 MR. MULLIGAN: Sorry, Tom. I'm here.
15
16 MR. DOOLITTLE: Is that you, Ben?
17
18 MR. MULLIGAN: Ben is.
19
20 MR. DOOLITTLE: Alrighty, Ben, thank
21 you. We have the State of Alaska here. Wonderful.
22
23 The RAC Chairs.
24
25 Alissa Rogers, you on.
26
27 MS. ROGERS: Present.
28
29 MR. DOOLITTLE: Thank you, Alissa.
30 Jack Reakoff, I know you're online.
31
32 Is Frank Harris online?
33
34 MR. HARRIS: Good afternoon. I'm here.
35
36 MR. DOOLITTLE: Pippa Kenner, are you
37 online?
38
39 MS. KENNER: Yes.
40
41 MR. DOOLITTLE: Okay. Good. Let me
42 double check here. We're good.
43
44 I'm going to go back to Chairman
45 Christianson. Are you online yet?
46
47 (No response)
48
49 MS. DEATHERAGE: Tom Doolittle, this is
50

1 Karen Deatherage just for the record.

2

3 MR. DOOLITTLE: Yes. Hi, Karen. I
4 know Eva was on as well. Great. Thank you very much,
5 Karen. I'm going to give it a few minutes and text the
6 Chair and Mr. Brower. So please provide a little
7 patience to the process and we'll get back to you.
8 Thank you.

9

10 (Pause)

11

12 OPERATOR: Excuse me. Mr. Christianson
13 has joined in.

14

15 MR. DOOLITTLE: Operator, has Chairman
16 Anthony Christianson or Tony Christianson joined in?

17

18 CHAIRMAN CHRISTIANSON: I'm here. I'm
19 here, Tom.

20

21 OPERATOR: Yes, sir, he has joined.

22

23 MR. DOOLITTLE: Great. Thank you, Mr.
24 Chair.

25

26 Steven Wackowski, are you online now?

27

28 OPERATOR: At this time, sir, he has
29 not joined.

30

31 MR. DOOLITTLE: Okay. Mr. Chair, this
32 is Tom. We do have a quorum of the Board. Mr. Brower
33 is absent, but we do have seven of eight members of the
34 Board here for this particular action. At this time if
35 you want to give a few more minutes to Charlie, I'll
36 leave that to your discretion. At your discretion have
37 me do the roll call as well, Mr. Chair.

38

39 Thank you.

40

41 CHAIRMAN CHRISTIANSON: Yep. I would
42 like to give Charlie another minute or two and then
43 we'll go ahead and do roll call for attendance and then
44 get started with business.

45

46 Thank you, Tom.

47

48 MR. DOOLITTLE: Thank you, Mr. Chair.

49

50

1 (Pause)

2

3 CHAIRMAN CHRISTIANSON: All right, Tom.
4 It looks like we'll go ahead and get started with the
5 meeting today. I appreciate everybody taking the time
6 to call in for the Special Action Request today. With
7 that, Tom, I'll turn it over for roll call.

8

9 MR. DOOLITTLE: Thank you, Mr. Chair.

10

11 We'll start with National Park Service,
12 Joshua Ream.

13

14 MR. REAM: Yes, I'm present. Thank
15 you.

16

17 MR. DOOLITTLE: Bureau of Land
18 Management, Chad Padgett.

19

20 MR. PADGETT: Present. Thanks, Tom.

21

22 MR. DOOLITTLE: You betcha.

23

24 Fish and Wildlife Service, Greg
25 Siekaniec.

26

27 MR. SIEKANIEC: Yes, Tom, present.

28

29 Thank you.

30

31 MR. DOOLITTLE: Thank you, Greg.

32

33 U.S. Forest Service, David Schmid.

34

35 MR. SCHMID: I'm present, Tom.

36

37 MR. DOOLITTLE: Thank you, Dave.

38

39 Bureau of Indian Affairs, Gene Peltola.

40

41 MR. PELTOLA: Present and accounted

42 for.

43

44 MR. DOOLITTLE: Thank you.

45

46 Public Member Rhonda Pitka.

47

48 MS. PITKA: Yes, I'm here.

49

50 MR. DOOLITTLE: All right, Rhonda.

1 Thank you.

2

3

Chairman Anthony Christianson.

4

5

CHAIRMAN CHRISTIANSON: Yes, I'm here.

6

Thank you.

7

8

MR. DOOLITTLE: Last but not least,
9 Charlie, are you online?

10

11

(No response)

12

13

MR. DOOLITTLE: With no answer with
14 Charlie, we have seven of eight board members and we do
15 have a quorum, Mr. Chair. We do have some sad news,
16 Mr. Chair, so I'll let you officiate that sad news for
17 the Federal Subsistence Program.

18

19

CHAIRMAN CHRISTIANSON: Yes, thank you
20 for the introduction to that, Tom. At this time we
21 just wanted to have a moment of silence. We had some
22 real sad news, you know, Ray Collins passing away. He
23 served 26 years on the Western Interior RAC since its
24 inception in 1993 and he also participated as an
25 upriver advisor for I believe that long on the
26 Kuskokwim River as a management working group member.
27 He was from McGrath. He was a renowned language
28 scholar and a dearly loved member of the community. I
29 appreciate Tom filling me in on the history and the
30 background on him.

31

32

Today, if we could have a moment of
33 silence and prayer for the family and recognizing his
34 service to the Subsistence Program, I'd appreciate
35 that. If anybody else has some words they'd like to
36 share or express, I'd open the floor for that as well.

37

38

(Moment of silence)

39

40

CHAIRMAN CHRISTIANSON: I appreciate
41 that moment of silence. Again, I'd open up the floor if
42 any Board members or Staff would like to say a few
43 words.

44

45

MR. REAKOFF: Mr. Chairman. Jack
46 Reakoff, Chair of the WIRAC.

47

48

CHAIRMAN CHRISTIANSON: Yes, you've got
49 the floor, Jack. Thank you.

50

1 MR. REAKOFF: When I received the news
2 this morning, I wrote this for my RAC members. Ray
3 Collins, Pollock Simon and I were on the first WIRAC
4 meeting. The Alaska Supreme Court ruled Alaska could
5 not manage for a rural preference in 1989 and the State
6 of Alaska refused to sit back or have the people vote
7 for a rural preference. The Board of Game never had
8 managed for a truly rural preference. Only if
9 subsistence did not interfere with sport or commercial
10 use.

11
12 The Federal government attempted to
13 provide a rural preference in 1990 after negotiations
14 with the State of Alaska failed. The Alaska Federal
15 agencies under the lead of the Regional Director set up
16 a pre-Board of Regional Directors to set temporary
17 regulations. The temporary regulations did not have
18 Council comment.

19
20 Some people, like Ray and I, were
21 contacted to hear grievances or comments on proposals
22 to address subsistence uses in our areas. We were
23 contacted in 1993 and asked if we would serve because
24 of work we had done with the ACs and the Federal
25 pre-Board. The State had done such a poor job of
26 managing rural subsistence, there was something like
27 280 wildlife only proposals. We did not manage
28 fisheries at that time. After Katie John we did.

29
30 The very first WIRAC meeting was in
31 McGrath. There was a huge number of BLM, Fish and
32 Wildlife, National Park Service, OSM Staff present to
33 see and hear what is subsistence. Ray was selected by
34 the Council as the first Chair of the RAC.

35
36 Ray was a solid RAC member. He
37 traveled as long as he could. He stayed on the phone
38 to participate in meetings he couldn't travel to. It
39 was great we could meet in McGrath and be with him as
40 he retired last fall in 2019.

41
42 He fought for sound fish and wildlife
43 management. Always well thought out and informative
44 commentary. Many historical, cultural comments that
45 are in our years of transcripts. Always peaceful.
46 Never raised his voice too loud.

47
48 I knew Ray's time was short the last
49 time we saw him. He did the best he could for the
50

1 resources and the people of the Western Interior
2 Region. He fought the good fight with words of
3 integrity to his last breath.

4
5 Well done, Ray. Well done. Rest in
6 peace.

7
8 Thank you, Mr. Chair.

9
10 MS. KENNER: Thank you, Jack. This is
11 Pippa.

12
13 CHAIRMAN CHRISTIANSON: Thank you for
14 that too as well, Jack, from the Chair here. I just
15 appreciate those kind words and I'm glad you took the
16 time to honor him today. Truly appreciate that.

17
18 Anybody else would like to share some
19 condolences or comments. The floor is open.

20
21 (No comments)

22
23 CHAIRMAN CHRISTIANSON: All right.
24 Hearing none. I appreciate everybody taking their time
25 to go ahead and honor their memory of Ray. We'll go
26 ahead and start with the order of business for the day
27 and call this meeting to order.

28
29 Tom, I'll just go ahead and ask you to
30 have Staff just detail out what we're up against today.

31
32 Thank you.

33
34 MR. DOOLITTLE: Thank you, Mr. Chair.
35 Today the Staff will outline and we'll start with the
36 Staff analysis from Frank Harris and Pippa Kenner on
37 Fishery Temporary Special Action FSA20-01, 02, 03 all
38 related to Kuskokwim salmon. That's where we'll start,
39 Mr. Chair.

40
41 CHAIRMAN CHRISTIANSON: Thanks, Tom.
42 I'll go ahead and ask the Staff to present the
43 information.

44
45 Thank you.

46
47 MS. KENNER: Okay. I've been asked.
48 Hello, members of the Board. My name is Pippa Kenner
49 and I'm an anthropologist at the Office of Subsistence
50

1 Management. With me today is Frank Harris, a biologist
2 at OSM. We're here today to provide an overview of
3 Fisheries Temporary Special Action Request 01, 02 and
4 03 related to the Kuskokwim chinook salmon subsistence
5 fishery.

6
7 First we'll describe the request.
8 Special Action Request 01 was submitted by the Akiak
9 Native Community Council on February 21st. It asked to
10 close Federal public waters of the Kuskokwim River
11 drainage to the harvest of chinook salmon except by
12 Federally qualified subsistence users possessing a
13 community harvest permit between June 1 and July 1;

14
15 Reduce the pool of eligible harvesters
16 based on an Alaska National Interest Lands Conservation
17 Act or ANILCA Section 804 Subsistence User
18 Prioritization that was implemented in 2017;

19
20 And consult with 33 communities named
21 in the 2014 OSM Section 804 analysis to establish an
22 appropriate harvest allocation of chinook salmon to be
23 distributed among communities within the Kuskokwim
24 River drainage.

25
26 The second Special Action Request was
27 submitted by the Organized Village of Kwethluk on
28 February 26th. They asked to close Federal public
29 waters of the Kuskokwim River drainage to the harvest
30 of chinook salmon except by Federally qualified
31 subsistence users between June 1st and July 1st; and to
32 reduce the pool of eligible harvesters within the
33 Kuskokwim River drainage based on an ANILCA Section 804
34 Subsistence User Prioritization analysis.

35
36 Both of these proponents state that
37 chinook salmon subsistence harvest within the Kuskokwim
38 River Drainage has declined precipitously within the
39 last decade. The last time the amount necessary for
40 subsistence was achieved for chinook on the Kuskokwim
41 River was in 2009.

42
43 The harvest outlook for chinook salmon
44 for 2020 should trigger the responsibility of the Board
45 to restrict the taking of chinook salmon for
46 subsistence uses on public lands of Alaska per the
47 responsibilities specified in Section 802 of ANILCA.

48
49 The proponents continue that failing to
50

1 first restrict chinook salmon harvest to Federally
2 qualified subsistence users forgoes the Board's
3 additional responsibility to restrict within
4 subsistence users when necessary as mandated in Section
5 804 of ANILCA.

6
7 The third Special Action Request
8 submitted by Lamont Albertson, who is now living in
9 Anchorage formerly of Aniak, on February 26th and it
10 requests the following: Close Federal public waters of
11 the Kuskokwim River drainage to the harvest of chinook
12 salmon except by Federally qualified subsistence users
13 at the beginning of the 2020 chinook salmon run;

14
15 Conduct an ANILCA Section 804
16 Subsistence User Prioritization to reduce the pool of
17 eligible harvesters;

18
19 And finally to request that the Federal
20 in-season manager continue to implement emergency
21 special actions to ensure that conservation mandates
22 under Section 815(1) and (3) of ANILCA by following the
23 model from 2019, where the Federal in-season manager
24 worked with the Kuskokwim River Inter-Tribal Fish
25 Commission, the Alaska Department of Fish and Game, and
26 other stakeholders to determine when harvest
27 opportunities should be provided.

28
29 The proponent states that based on new
30 information, including critical sources of uncertainty
31 and the decade-long decline, there is little evidence
32 to support a pre-season decision that the 2020 run of
33 Kuskokwim chinook salmon will be sufficient to support
34 the harvest demands of all users without endangering
35 the health of chinook populations.

36
37 The proponent lists four risk factors,
38 three of which function as drivers of decline,
39 negatively impacting the abundance and/or productivity
40 of the stocks. The first factor he describes is risks
41 to stock diversity from high harvest rates are not
42 currently accounted for.

43
44 He continues: The mandate for
45 protecting population diversity is found in Title III
46 of ANILCA and in the Alaska Board of Fisheries,
47 Sustainable Salmon Policy. A new paper by Connors et al
48 (2019) identifies several Kuskokwim chinook salmon
49 sub-stocks that are currently less productive and
50

1 therefore at risk of unintentional overharvest under
2 higher exploitation rates within the mainstem
3 mixed-stock fishery.
4

5 Another factor. Significant decline in
6 body size and caloric value of chinook salmon is not
7 currently accounted for: The observed decline in the
8 body size and the reduced proportion of female
9 Kuskokwim River chinook salmon across the time series
10 results in a decline in both the number and average
11 size of spawned eggs and reduced caloric value of the
12 smaller size of subsistence salmon harvested in recent
13 years requires additional chinook salmon to provide the
14 same caloric value from thirty years ago.
15

16 The third point he makes is the impacts
17 of climate driven heat stress on migrating salmon.
18 During heat events in recent years freshwater
19 temperatures have significantly exceeded species
20 thresholds (above 18 degree Celsius or 65 degrees
21 Fahrenheit). This is known to cause heat stress and
22 mortality of migrating salmon, including before
23 spawning, or to die with eggs retained, which can bias
24 biological reference points. Heat stress is an
25 especially problematic driver of decline because much
26 of its impact on migrating salmon likely occurs after
27 the fish have been counted.
28

29 Finally, the fourth point the proponent
30 makes has to do with critical sources of uncertainty
31 fuel risk. The Kuskokwim chinook salmon preseason
32 forecast and in-season management operates under a very
33 high degree of uncertainty, which translates into risk.
34

35
36 The proponent does not contest the
37 methods used to estimate the 2019 total run and
38 escapement numbers; however, he is concerned that the
39 true uncertainty associated with the performance of the
40 prior year forecast method when applied to the
41 Kuskokwim chinook salmon data set may actually be
42 significantly higher than the level of uncertainty
43 being assigned to it. This is an important question to
44 be evaluated.
45

46 Due to its high degree of uncertainty,
47 use of the 2019 total run estimate by the Federal
48 Subsistence Management Program to justify 2020
49 preseason or any in-season harvest management decisions
50

1 poses unacceptably high risks to the viability of
2 populations and the harvest needs of the priority
3 consumptive uses.
4

5 I'm going to move on now to things that
6 have happened since we've received these Special Action
7 Requests. A public hearing was held on March 16, 2020,
8 at the U.S. Fish and Wildlife Service, Regional Office
9 in Anchorage, Alaska. Seventeen individuals identified
10 themselves at the start of the teleconferenced meeting,
11 with 11 people and organizations testifying.
12

13 The summary of the public hearing
14 begins on Page 20 of the analysis. I'm going to offer
15 a brief summary. Most testifiers were generally
16 supportive of the closure of Refuge waters to the
17 harvest of chinook salmon except for the rural
18 residents identified in the Section 804 subsistence
19 user prioritization.
20

21 Testimonies included statements such as
22 sacrifices made by local communities in order to
23 rebuild the chinook salmon run have been very
24 successful. The Board should continue to listen to
25 local people and continue these rebuilding efforts.
26 Without the Board's action fishing will be open to all
27 uses and this is not why we have sacrificed harvest for
28 five years.
29

30 Three testifiers opposed these special
31 action requests, specifically a closure to the harvest
32 of salmon by non-subsistence uses. ADF&G voiced their
33 opposition in a letter to the Board, which is included
34 as Appendix F. Another testifier described fishing
35 restrictions that have been implemented since 1999 and
36 the difficulty they have imposed on subsistence users.
37

38 New information has resulted in more
39 reliable forecasts of run size allowing ADF&G to manage
40 protectively this year. And the fishery should be
41 closed only if warranted based on in-season indicators.
42

43 Thanks. Orville, would you like to
44 present the tribal and corporation consultation summary
45 now?
46

47 MR. LIND: Yes. Can everyone hear me?
48

49 CHAIRMAN CHRISTIANSON: Loud and clear,
50

1 Orville. You've got the floor.

2

3 MR. LIND: Thank you, Mr. Chairman.
4 Board members, RAC Chairs. Orville Lind, Native
5 Liaison.

6

7 I'm going to go ahead and do a brief
8 overview of the tribal consultation and ANCSA
9 consultation held on April 16th. Mr. Williams stated
10 that the chinook salmon have not recovered and this is
11 not the time to put additional risk on chinook salmon.
12 As you heard, they have sacrificed over five years.

13

14 Subsistence protections under ANILCA
15 should be upheld by the Board. The rebuilding returns
16 a purpose of people having enough fish to continue
17 subsistence uses.

18

19 They've seen small king salmon last
20 year and they have seen impact of climate change and
21 heat stress. They saw an impact of that last summer.
22 There's a risk to stop diversity from high harvest
23 rates also. They did mention that in 2013 a
24 mismanagement occurred and they want to avoid that same
25 thing again. It turned out that the outcome was lower
26 on record and they don't want to see that happen again.

27

28

29 He does applaud the Yukon-Kuskokwim
30 Delta Council who supported all three special actions
31 and the Organized Village of Kwethluk and Lamont
32 Albertson also. Mr. Lekander also stated that
33 rebuilding stocks takes a while because of the heat
34 stress in river and bycatch in the oceans. They don't
35 want a repeat of 2013.

36

37 Also he said he fished on the river
38 with -- since he's been on the river he fished with
39 cotton nets and wooden corks, meaning that he'd done
40 that a long time ago. They save king salmon. We used
41 to eat king salmon and they need it for themselves for
42 subsistence.

43

44 There were no reds at the time they
45 were growing up in this area. He supports the special
46 actions.

47

48 Mr. Jordan also stated that he had a
49 letter written in March from ONC subsistence committees

50

1 and that these comments on all three special actions.
2 One, ONC does not agree with 804 recommendation.
3 Number two, it would be complicated and difficult to
4 enforce. Number three, if the chinook salmon in-season
5 does not meet the ADF&G predictions, then an 804 should
6 be enacted until chinook salmon estimates are met.

7
8 Mr. Lekander also said he did not vote
9 on that letter. Mr. Jordan said that Robert voted
10 against the rest of the members, disagree.

11
12 After all the special actions were read
13 again, Mr. Williams stated that the special action from
14 Lamont there's a lot of new detail information and it
15 would justify the other two special actions and said
16 that Akiak fully supports those special actions.

17
18 Mr. Lekander also said he supported
19 that. They put a moratorium on moose and look what
20 happened. There's a lot of moose now. Too many risk
21 factors on salmon; heat stress and bycatch, the size of
22 fish getting smaller. There are people there in Bethel
23 when they open up there's so many people that it's like
24 a certain thing like a curtain going down on the river
25 open to everybody and it's detrimental to the kings.

26
27 Mr. Kameroff also supports the special
28 actions and the salmon population is still at risk, he
29 says. It continues to do like we did last year. Each
30 year that goes on we'll see more and more rebuilding
31 and salmon conservation. We are learning more. Then
32 he thanks the biologists for all their work.

33
34 Mr. Gillikin also mentioned he had
35 questions on all three special actions and his council
36 has taken a position at the time and he's waiting for
37 additional information from OSM in the form of an
38 analysis so they can make additional comments.

39
40 The lack of information in the form of
41 an analysis has been a real challenge for them to
42 provide any information to their board so they could
43 make a decision.

44
45 I'll move on to -- Mr. Williams again
46 says in recent times the subsistence needs, the ANS
47 defined in State regulation have not been met in recent
48 years and harvest has been far below the 80,000 fish
49 harvest range to meet our needs on the river. He
50

1 appreciates the people sacrificing over these years,
2 but they're running out of fish and he indicated
3 himself before the winter is over. They are
4 supplementing by other species, pike fishing and
5 whitefish.
6

7 They're actually feeling very nervous
8 in that they continue to see a countless number of
9 years without risking the chinook salmon, then we would
10 see fewer special action requests when they have enough
11 numbers to go by.
12

13 Mr. Decossas said that -- there was a
14 question asked about any comments related to escapement
15 objectives. Mr. Decossas said remember the document
16 sent to you that decided to view results using
17 BayesTool and a 50/50 shot at meeting the escapement
18 goals of 95,000 fish. The Fish Commission wanted an
19 escapement target of 110,000. Mr. Gray agreed that it
20 was within the risk tolerance.
21

22 Mr. Gillikin also asked about the
23 escapement goal and that's the management strategies,
24 State management strategies and has the Fish and
25 Wildlife Service discussed strategies they may employ
26 if they took over the fishery. Mr. Decossas said we're
27 having discussions on that.
28

29 Moving on to again another question by
30 Mr. Gillikin, do you agree that escapement of upper end
31 of goal can jeopardize chinook salmon stock. Mr.
32 Gillikin said that concerning sockeye systems also,
33 we're talking about chinook salmon, and Mr. Gillikin
34 said based on the spawner recruit model, if we start
35 exceeding the escapement goal ranges, it will affect
36 yield and this point is lost if we have these in place.
37 The data says what it says and it is pretty strong.
38

39 Age at maturity, loss of age classes,
40 egg production, and models just came out.
41 Over-escapement actually reducing yield looked like
42 yields from the 2013 run. There was an increased
43 number of fish returning based on that run. If we are
44 reaching the upper end of the objectives, then we are
45 actually shooting ourselves in the foot.
46

47 If we meet escapement in the mid or
48 upper range, that would accommodate escapement goals in
49 tributaries and weak stock protections.
50

1 Mr. Decossas also related to Conners as
2 an example of much recent researches according to that
3 paper subsistence needs could be met. Purely shooting
4 for a high escapement only necessary if combined
5 harvest is over 150,000.

6
7 There's a tradeoff in biodiversity and
8 low overall harvest rate is more important than overall
9 escapement goal in meeting tributary goals if hitting
10 upper end escapement goal. There's been a discussion
11 to move lower end of goal up so we can reasonably be
12 sure that escapement goals met and the tributaries are
13 protected.

14
15 Ms. Peltola mentioned that the Fish
16 Comm is comprised of 33 communities and seven tribes
17 and there are seven units in the Commission. Each
18 selects its own member to represent them on executive
19 council. There are four in-season managers
20 representing different areas of the river and they're
21 elected by all the commissioners, plus an elder, who
22 also attends meetings. These are individuals who are
23 qualified to discuss long-term trends and changes that
24 they may have seen over the years in their lifetime,
25 sometimes having witnessed these changes firsthand.
26 They pretty much see everyone and also they're all
27 saying they're smaller salmon.

28
29 She stated she knows that the Kuskokwim
30 is unique in those terms. In the Kuskokwim a lot of
31 four-year-olds are returning. People remember giant
32 eight-year-olds and large seven and six-year-olds.
33 They're also looking at the effects on subsistence in
34 future years. The Yup'ik way is to take in gratitude
35 when they come back in good numbers. That's what they
36 talk about. They're learning that the fish are smaller
37 and there are fewer females, fewer eggs and smaller
38 eggs.

39
40 Mentioned that we have not met our
41 subsistence needs since 2011. The last year's
42 estimated 40,000 fish harvested was the best in eight
43 years. The word escapement is a loaded word, like we
44 lost something. They know the fish didn't escape.
45 They're multiplying. ADF&G's highest recorded run was
46 300,000 fish. She said she would not argue the theory
47 that too many fish can go up and deplete the oxygen.
48 Too many in small spaces. The people say that the
49 river doesn't smell the way it used to. The locals
50

1 recognize the smell of a healthy system. People on
2 the river say it's true, over-escapement can happen,
3 but the current sizes are not a problem.
4

5 Red herring distractions, false
6 arguments. Let's argue about this rather than
7 something else. Mr. Lekander said in the old days he
8 used to get 20 big ones and that would be enough. He
9 says about 50 of them are smaller fish to get the same
10 he's gotten before. He also mentioned that they were
11 allocated one or two fish. That was something that
12 really got to him. They say that this is the last
13 frontier. He's hoping that his grandchildren will be
14 able to fish in the future. He's been trying to
15 conserve. Maybe in another 10 years he'll be telling
16 his grandchildren that they used to catch them. Just
17 like the whales out there they had to quit because they
18 went extinct. I hope this doesn't happen to here.
19 He's speaking about the salmon.
20

21 I'll go on to the actual ANCSA
22 consultation. Hang on one second. Mr. Gillikin said
23 he had some questions for Mr. Born on key management
24 issues. At the Upper ANS he asked do you think
25 subsistence needs would be met. Mr. Born replied that
26 the harvest was 100,000 fish on closure, plus 6-inch
27 mesh net. A typical year, if chum showed up after June
28 11th, it would be difficult to catch 100,000 fish.
29

30 Amounts needed is a fluid question.
31 It's hard to quantify needs based on variables
32 including changes in fish sizes concerning that ANS
33 number. 100,000 fish is within the range of what the
34 State has identified. Of course that would allow more
35 opportunity to harvest as many fish as possible after
36 June 11th.
37

38 Mr. Gillikin's next question to Fish
39 and Wildlife says use the State's goal. Again, Mr.
40 Born replied that this year's forecast is to be the
41 same or bigger than last year. Escapement last year
42 was significantly under the upper end of the escapement
43 goal range.
44

45 If subsistence users collect 100,000
46 fish, this still leaves us 120,000 fish to escape above
47 the upper end of goal and they'd be in good shape.
48

49 One more question from Mr. Gillikin was
50

1 do you have concerns of large escapements that might
2 affect future productivity. Again, looking at the
3 graph, first spawner relative to escapement. This is
4 driving the cycle over and over. The State proposed
5 fishing every other day until sufficient information is
6 collected.

7
8 Again, Gillikin asked about what would
9 be the Fish and Wildlife Service's strategy be. Mr.
10 Born replied that the State approved the use of 6-inch
11 mesh during front-end closures. This is a good harvest
12 method to analyze the run strength. The Fish and
13 Wildlife Service again did something similar to that.

14
15 He replied this is a big lunge, a big
16 responsibility to monitor even if the State is in the
17 management role we will still monitor, but they could
18 liberalize if a run comes in big. They're cautiously
19 optimistic. Mr. Gillikin asked another question, any
20 conservation concern. Again, Mr. Born replied no
21 concerns at this time, balanced conservation and
22 harvest. Should be able to allow harvest and
23 escapements.

24
25 The last question by Mr. Gillikin,
26 given forecast, run size and the amount of harvest it
27 looks like we are providing, do you have any
28 conservation concerns. Mr. Born replied that this is a
29 technical fishery question. I don't have conservation
30 concerns at this time. The balance high end of
31 escapement goal 120,000 and 100,000 harvest. The run
32 size is still bigger than that.

33
34 Mr. Decossas replied in terms of --
35 according to the research of the Kuskokwim area
36 specific, it reports Conners' paper risk of diversity
37 different than different areas of drainage. Also makes
38 statements management could deal with issues.

39
40 Ms. Peltola stated that she has worked
41 with dozens of tribes up and down the Kuskokwim River
42 and from her perspective someone who has been on the
43 river for decades hearing overescapement jeopardizes
44 future productivity, that bothers her. More salmon on
45 salmon grounds lay more eggs. They seem to be grasping
46 at straws. Common logic, there will be at least one
47 fish returning per spawner.

48
49 A study has referenced Nushagak River
50

1 sockeye not Kuskokwim River chinook. Fish and Wildlife
2 Service Jim Boersma has done Kwethluk River research.
3 Kwethluk River research is the second largest producer
4 in the drainage. It is found every year out-migration
5 of smolt in spring is 50 percent less than the year
6 before.

7
8 The argument that fish are still needed
9 on spawning grounds is counter intuitive. She said
10 draped in science terminology, but it does not make
11 sense to sample. On the river last year the majority
12 four-year-olds spawned in 2015 or '16. She said the
13 improvements that have seen direct results of Fish and
14 Wildlife Service cooperating, working together with
15 stakeholders. She says amazing proceeding has resulted
16 and we want to continue the trend of large numbers
17 returning.

18
19 Within the realm of our control is
20 working with the Fish and Wildlife Service to get good
21 harvest numbers. It is being -- trying to quantify
22 clearly small fish, more fish not only needed for
23 harvest but also needed on the spawning grounds.
24 Chinook run size has been high, up to 400,000 fish.

25
26 She was just saying there is not a
27 point at which they will collapse. We have a rule, you
28 have to harvest some or they will go away. When the
29 run was really huge, the perception was that not enough
30 were harvested and it collapsed. We have been
31 harvesting one-eighth or less of kings than we are
32 accustomed to. Such a small number of fish.

33
34 The Commission, in strong support of
35 all three special actions, requests and hopes that the
36 Board will approve them and Federal managers will
37 continue in consultation with the Commission.

38
39 Then last comments. Ms. Peltola says
40 thank you. Indicators include size of snow pack,
41 depressive snow on the river, water conditions. It
42 looks like it will be a late breakup with cold
43 temperatures and a lot of ice. Some are preparing for
44 potential flooding.

45
46 Another sign is migratory birds and
47 gulls were seen a couple days ago. Some geese are
48 passing. James' predictions have been uncanny. He
49 noticed abundance, whether birds arrive in big groups

50

1 or not or direction of wind, whether chinook arrive
2 right after breakup. People are optimistic we will
3 have the same number of chinook returning that were
4 seen last year.
5

6 Long-term concern is we are thinking of
7 decades, not just year. The Commission looked at the
8 last 40 years of science rather than only recent years.
9 The ADF&G forecast is give or take 100,000 fish. In
10 2013, they were 100,000 fish off their forecast.
11

12 This is a major subsistence fishery.
13 The way our river is managed in the same approach as
14 ADF&G uses for a commercial fishery. We do not have a
15 commercial fishery and haven't had for a number of
16 years. The cost is too high to process harvest in
17 Bethel. They are managing the subsistence fishery like
18 it is a commercial fishery. If they are off for one or
19 two years for subsistence economy, this is much more
20 damaging.
21

22 What we are asking for is to look at
23 the best practices in TEK and the most advanced,
24 contemporary Western science that we can use as they
25 just want the best practices used on your river.
26

27 That will conclude the quick summary of
28 the tribal and ANCSA consultations.
29

30 Thank you, Mr. Chair.
31

32 MS. KENNER: Thank you, Orville. This
33 is Pippa again. I do have some additional notes here.
34 The Board has received the resolution from the
35 Kuskokwim River Inter-Tribal Fisheries Commission
36 signed by 26 of its 33 members fully supporting all
37 three Special Action Requests.
38

39 The Board has also received a letter
40 from the Yukon Delta National Wildlife Refuge Manager,
41 who is the Federal in-season manager for this fishery,
42 describing his in-season management strategy for this
43 coming year.
44

45 I'd be happy to remind the Board of the
46 contents of those letters if it wishes. Otherwise
47 we'll move on to Frank continuing with our overview.
48

49 (No comments)
50

1 MR. HARRIS: Thank you, Pippa. Good
2 afternoon. This is Frank. Can everybody hear me?
3

4 CHAIRMAN CHRISTIANSON: Loud and clear,
5 Frank. You have the floor.
6

7 MR. HARRIS: Excellent. We're going to
8 start with an overview of the biological background.
9 This is beginning on Page 32 of the analysis.
10

11 The sustainable escapement goal for
12 Kuskokwim River chinook salmon was set in 2013 by the
13 Alaska Board of Fisheries with a range of 65,000 to
14 120,000 chinook salmon. This goal has been met every
15 year since 2014 through conservation efforts.
16

17 Total run sizes have slowly increased
18 since an estimated low of approximately 79,000 in 2012.
19 The estimated total run size is fairly consistent from
20 2015 to 2018, ranging from 125,000 to 136,000 chinook
21 salmon. However, the estimated total run size jumped
22 to a preliminary estimate of close to 227,000 chinook
23 salmon in 2019.
24

25 The total escapement estimates follows
26 the same general trend as total run estimates, the
27 cyclical peaks and valleys. After the last peak in
28 around 2004 the chinook salmon escapement dropped to a
29 record low of around 41,000 in 2013 and increased to
30 about 188,000 chinook salmon in 2019.
31

32 I'll discuss a little bit on the run
33 timing. Chinook salmon enter the Kuskokwim River
34 beginning in late May and continue to early August,
35 with about 85 percent of the chinook salmon passing
36 through the Bethel Test Fishery by July 1st on average.
37 The Bethel test fishery operates annually from the end
38 of May until late August and is used as an index of the
39 number of fish passing that point in the river.
40

41 From 1984 to 2019, the median
42 cumulative proportion of chinook salmon passing the
43 Bethel Test Fishery by June 12 was approximately 13
44 percent, with the proportion of the run on that date in
45 most years falling between 6 to 19 percent. There have
46 been years when zero percent of the run has passed by
47 that date, where other years there was nearly 40
48 percent that had passed. This is the date on which the
49 State's season subsistence harvest restrictions end
50

1 annually.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

I'll talk a little now on age composition of the run. Chinook salmon returning to the Kuskokwim River drainage usually complete their spawning migration between the ages of 4 and 7, with a majority returning at ages 5 and 6. Median brood year recruit age percentages are estimated at around 20 percent for age 4 fish, 38 percent for age 5, 39 percent for age 6, and 3 percent for age 7.

The 2019 chinook salmon return saw the arrival of the initial cohort from the 2015 return. These are 4-year-olds. Four-year-olds composed approximately 48 percent of that chinook salmon run, which is nearly a 30 percent increase from historical composition. Five-year-olds from the 2014 cohort composed approximately 32 percent of the 2019 run, which is a decrease of about 6 percent from historical composition. Six-year-olds from the 2013 cohort experienced a decrease in composition to approximately 15 percent or a 25 percent decrease from historical composition. Seven-year-olds from the 2012 cohort composed less than 1 percent of the 2019 run, which is a decrease from the historical composition.

Historically, Kuskokwim River chinook salmon show a strong sibling relationship at the younger age classes. With an estimated 48 percent of the 2019 chinook salmon return coming back as 4-year-olds, than the 2020 return to the Kuskokwim River will have a high number of 5-year-olds returning if the sibling relationship holds. In addition, the relationship of 3 to 4-year-old fish has been increasing in recent years indicating that there should be a strong return of 4-year-olds in 2020 because there was 4 percent 3-year-olds in 2019.

Okay. We'll move on to pre-season forecast. There are four separate models for pre-season forecast this year. We will only discuss three as one is based off another model and the one we will discuss is considered to be more precise. The ADF&G pre-season forecast uses a method in which the range is equal to the prior year run size plus or minus the recent seven-year average percent deviation of subsequent year runs. The 2020 ADF&G pre-season forecast is 193,000 to 261,000 chinook salmon.

1 The second model is using the
2 Bayestool, which was developed by Benjamin Stanton and
3 Matt Catalano. The forecast methodology used in this
4 tool is probabilistically based and is readily
5 updatable during the course of the season. The
6 methodology considers deviations in run abundances from
7 the entire time series, therefore it is able to
8 consider all of the uncertainties in run abundances.
9 This model predicts a 95 percent probability that the
10 2020 run returns between 125,000 and 380,000 chinook
11 salmon.
12

13 The AR(1) empirical model designed by
14 Curry Cunningham uses a lag 1 autoregressive model.
15 This model scales the forecast uncertainty based on
16 performance across the entire time series and is more
17 likely to represent the true uncertainty of the 2020
18 run size. As such, the 95 percent AR(1) empirical High
19 Density Intervals put the pre-season forecast at
20 100,000 to 328,000 chinook salmon. The BayesTool and
21 the AR(1) empirical model output of these forecasts can
22 be seen on Table 8 and 9 on Page 96 of the analysis.
23

24 Now we will specifically address some
25 of the key points from Special Action Request FSA20-03,
26 declines in age and body size. There are indications
27 that age at spawning, average lengths and average
28 weights of chinook salmon have decreased throughout
29 their range. Researchers estimate that during the last
30 25 to 40 years the number of 6+ year old fish in the
31 population has declined approximately 25 percent in the
32 Kuskokwim River.
33

34 A recently released report by an AYK
35 SSI independent expert review panel reports a 9 percent
36 decrease in length of female chinook salmon spawning in
37 the Kuskokwim River since the early 1970s. This is not
38 associated with that report. In addition, the average
39 weight of commercially-caught chinook salmon has
40 decreased about four pounds from 1985 to 2010.
41

42 Theories as to why this is happening is
43 warmer water temperatures in the Bering Sea, increasing
44 growth rates that in turn causes fish to reach a
45 spawning size threshold at a younger age as well as
46 selective fisheries taking the biggest fish and
47 removing those genetics from the population. However,
48 neither of those theories explain all the uncertainty
49 in the decrease. The trend towards smaller length at
50

1 age is also occurring in areas that have little
2 exploitation.

3
4 There are negative implications of
5 chinook salmon turning up younger and smaller sizes.
6 Downward shifts in length at age and age at maturity
7 can affect fitness of chinook salmon by reducing
8 fecundity. In addition, larger females produce larger
9 eggs, which typically have higher survival. Changes in
10 size may also cause a change in spawning habitat use.

11
12 Recent simulation-based research has
13 indicated that a decrease in an overall length of
14 female chinook salmon in the Kuskokwim River may cause
15 an estimated reduction of about 21 percent fewer eggs
16 and 35 percent lower egg mass compared to the early
17 1970s.

18
19 The study also notes a 7.5 percent
20 reduction in percent females in the Kuskokwim River
21 population from four decades ago. Researchers also
22 performed a spawner-recruit analysis for chinook salmon
23 in the Kuskokwim River based on quality of escapement,
24 with results suggesting that age and length of female
25 chinook salmon has an effect on expected recruitment.

26
27 When simulating use of unrestricted
28 gear, the authors state that more fish would be needed
29 on the spawning grounds to meet SMSC, which is the
30 total number of spawning salmon that would be expected
31 to produce maximum sustainable harvest, than would be
32 needed for the model used by ADF&G.

33
34 The effect of gear on SMSC when
35 considering escapement quality does suggest a trade-off
36 whereby lower escapement goals could perhaps be
37 implemented if stakeholders were willing to accept
38 consistently using smaller restricted-mesh gear.

39
40 A graph comparing escapement goals can
41 be found on Page 85 -- I'm sorry, spawner recruit
42 analysis can be found on Page 85 of the analysis.

43
44 There are limited options available to
45 managers to slow, stop, or reverse the trends of
46 declining fish body size. Management actions that may
47 affect this decline on the population are limited to
48 options such as restricting gillnet mesh sizes,
49 extensive fishery closure windows to allow periodic
50

1 uninterrupted passage, or complete closure of the
2 river.

3
4 Now we'll discuss risk to stock
5 diversity. Over-fishing and high exploitation rates
6 can threaten stocks with lower productivity, while
7 stocks with higher productivity can sustain higher
8 rates of exploitation. Recent research simulated the
9 chances of Kuskokwim River chinook salmon populations
10 being extirpated using differing exploitation rates and
11 found that with an exploitation rate of 50 percent
12 leads to about 20 percent of stocks at risk of
13 extirpation. At 40 percent exploitation rates, leads
14 to about 10 percent of the stocks at risk of
15 extirpation and 30 percent exploitation rates leads to
16 about 5 percent of stocks at risk of extirpation.

17
18 This same study also suggested that a
19 target harvest near historic maximum of around 150,000
20 chinook salmon, that included subsistence and
21 commercial, would require managing for the upper end of
22 the escapement goal to minimize extirpation risk.

23
24 Estimated exploitation rates of
25 Kuskokwim River chinook salmon from the subsistence
26 catch have varied tremendously between 1976 and 2013,
27 with a low of around 15 percent in 1978 to a high of 59
28 percent in 2010. The average exploitation rate of
29 chinook salmon specific to subsistence harvest on the
30 Kuskokwim River during that timeframe is near 33
31 percent, occurring at a time before the front-end
32 closure was enacted in 2017.

33
34 Historically, the subsistence harvest
35 hasn't exceeded the 50 percent exploitation rate except
36 during times of smaller run abundance, so usually less
37 than 130,000 chinook salmon. This is shown in Figure 8
38 on Page 86 of the analysis.

39
40 I'll quickly discuss some impacts of
41 climate-driven heat stress on migrating salmon.
42 Extended exposure to temperatures above 20 degrees C
43 can have negative physiological effects on chinook
44 salmon. Lab studies have found that adult chinook
45 salmon exposed to a water temperatures of 19 degrees C
46 or more for more than a few hours can have a negative
47 effect on egg viability and migration rates.

48
49 Monitored Kuskokwim River tributary
50

1 locations have recorded temperatures above 15 degrees
2 Celsius each year. However, in 2019 water temperatures
3 were above 20 degrees C in the Kwethluk River for six
4 days, mostly during the afternoon. Typically during
5 the morning temperatures were back down to 18 degrees
6 C. Also in 2019 the Bethel Test Fishery recorded 12
7 days in a row of water temperatures greater than 20
8 degrees Celsius with a maximum of 22 degrees Celsius,
9 which is 5 degrees above the latest five-year average.

10

11

12

13

14

15

16

17

18

19

Uncertainty in management of the
fishery. Management of the Kuskokwim River chinook
salmon stocks is challenging due to a lack of in-season
survey and inventory monitoring data. Currently, the
Bethel Test Fishery is the primary source for
determining run strength and timing; however, the sonar
in the Lower River is entering its fifth year and is
becoming more useful.

20

21

22

23

24

25

In addition to the difficulties in
using the Bethel Test Fishery for in-season management,
there is an inability to separate out stock run timing.
Too much pressure at the wrong location can jeopardize
weak stocks.

26

27

28

29

30

31

32

33

34

In-season harvest estimates have been
conducted by the Yukon Delta National Wildlife Refuge
in cooperation with the Kuskokwim River Intertribal
Fisheries Commission and the Orutsararmiut Native
Council during recent years. The collection of this
data had helped the in-season manager make informed
decisions, particularly during years with lower
returns.

35

36

37

38

39

40

For the 2020 season it is anticipated
that the Yukon Delta National Wildlife Refuge will
start the season with similar harvest monitoring
efforts and will adjust after the first week if
indicators of run strength match pre-season forecasts.

41

42

43

Pippa will take over now for the next
section. Thank you, Pippa.

44

45

46

47

48

49

50

MS. KENNER: Thanks, Frank. Okay.
We'll begin with number one. If this special action
request is approved, then the Board will close Refuge
waters to the harvest of chinook salmon from June 1
through June 30th, except by Federally qualified
subsistence users identified in the Section 804

1 subsistence user prioritization approved by the Board
2 in 2014 and fishing under the terms and authority of a
3 community harvest permit, unless superseded by
4 subsequent special actions.

5
6 This will mean chinook salmon fishing
7 opportunities including schedules, openings, closures,
8 and methods will be determined by the Federal in-season
9 manager in consultation with the Kuskokwim River
10 Inter-Tribal Fisheries Commission and other fishery
11 managers including State and Tribal interests.

12
13 Decisions will be coordinated with the
14 Office of Subsistence Management to ensure proposed
15 actions align with Federal subsistence regulations and
16 policy. Additionally, the Federal in-season manager
17 will consult with 32 communities to establish an
18 appropriate chinook salmon harvest allocation amongst
19 these communities.

20
21 We'll move on to Special Action Request
22 02. If this special action request is approved, then
23 the Board will close Refuge waters to the harvest of
24 chinook salmon from June 1 through June 30th except by
25 Federally qualified subsistence users identified in a
26 Section 804 subsistence user prioritization.

27
28 This will mean chinook salmon fishing
29 opportunities including schedules, openings, closures,
30 and methods will be determined by the Federal in-season
31 manager in consultation with the Kuskokwim River
32 Inter-Tribal Fisheries Commission and other fishery
33 managers including State and Tribal interests.
34 Decisions will be coordinated with the Office of
35 Subsistence Management to ensure proposed actions align
36 with Federal subsistence regulations and policy.

37
38 Special Action Request 03. If this
39 special action request is approved, then the Board will
40 close Refuge waters to the harvest of chinook salmon
41 throughout the run, except by Federally qualified
42 subsistence users identified in a Section 804
43 subsistence user prioritization.

44
45 This will mean chinook salmon fishing
46 opportunities including schedules, openings, closures,
47 and methods will be determined by the Federal in-season
48 manager in consultation with the Kuskokwim River
49 Inter-Tribal Fisheries Commission and other fishery
50

1 managers including State and Tribal interests. Again,
2 decisions will be coordinated with the Office of
3 Subsistence Management to ensure proposed actions align
4 with Federal subsistence regulations and policy.
5

6 Conversely, if these special action
7 requests are not approved, then State subsistence and
8 sport fisheries targeting chinook salmon will be closed
9 prior to June 11th. State regulations now mandate that
10 chinook salmon fisheries be closed through June 11th
11 every year. The Kuskokwim Salmon Management Working
12 Group, who for the past several years has recommended
13 the start date of this front-end closure, will have its
14 first meeting on May 5th to 6th.
15

16 Before June 12, ADF&G will issue an
17 emergency order for at least one fishing period per
18 week with 6-inch or less mesh-size set gillnets for the
19 purpose of allowing harvest of non-salmon fish species
20 during which chinook salmon can be retained. The exact
21 fishing schedule that would occur after June 11 has not
22 been finalized.
23

24 The ADF&G has announced that it will be
25 discussing management options at the first Working
26 Group meeting coming up on May 5th and 6th. However,
27 they will present a plan to the Working Group that
28 would allow an opening period for 20 hours a day every
29 other day using drift gillnets with a maximum of 6-inch
30 mesh and 25 fathoms in length, from the mouth of the
31 river to the village of Tuluksak.
32

33 Fishing would be open upstream of the
34 village of Tuluksak with 6-inch or less mesh gear
35 size, with the exception of the Aniak box, where no
36 retention of chinook salmon would be allowed until June
37 23rd. Retention of chinook salmon in the tributaries
38 would be allowed with rod and reel in the subsistence
39 fishery.
40

41 The State has issued an advisory
42 announcement that the chinook salmon sport fishery in
43 the Kuskokwim drainage will closed from May 1st through
44 June 11th as mandated in State regulations, but might
45 reopen after June 11th based on in-season indicators.
46

47 Now if these special actions are not
48 approved, the Federal in-season manager in consultation
49 with the Kuskokwim River Inter-Tribal Fisheries
50

1 Commission and other fishery managers could allow
2 additional subsistence fishing opportunity over and
3 above that allowed under State management.

4
5 Alternatively, the Federal in-season
6 manager could close Refuge waters to the harvest of
7 chinook salmon except by Federally qualified
8 subsistence users until superseded by subsequent
9 special actions. This would mean chinook salmon
10 fishing opportunities, including schedules, openings,
11 closures, and methods, would be determined by the
12 Federal in-season manager in consultation with the
13 Kuskokwim River Inter-Tribal Fisheries Commission and
14 other fishery managers. Decisions would be coordinated
15 with the Office of Subsistence Management to ensure
16 proposed actions aligned with Federal subsistence
17 regulations and policy.

18
19 Frank.

20
21 MR. HARRIS: Thank you, Pippa. The OSM
22 conclusion is neutral on Federal Special Action 20-01,
23 20-02 and 20-03.
24 Proponents of these Special Action Requests have
25 emphasized concerns regarding risks to Kuskokwim River
26 chinook salmon stock diversity from high harvest rates,
27 significant decline in body size, impacts of
28 climate-driven heat stress on migrating salmon, and
29 sources of uncertainty that increase risk. These risks
30 are additive in nature and are cumulative.

31
32 Comments have focused on the danger of
33 near extirpation of chinook salmon in some of the
34 tributaries and the harm to run resiliency that
35 follows, along with the danger to the continuation of
36 subsistence uses if runs do not rebound to historical
37 levels.

38
39 Comments have also focused on the
40 effects of reduced body size and declining caloric
41 value of chinook salmon harvests and the need to
42 harvest higher numbers of chinook salmon to make up for
43 these changes.

44
45 New research has confirmed that chinook
46 salmon are coming back younger and smaller, have
47 analyzed the risk to stock diversity and discussed the
48 impacts of heat stress on chinook salmon. The research
49 indicates a decrease in size and spawning potential
50

1 from 50 years ago while also defining risk to stock
2 diversity as it applies to harvest rates.
3 Additionally, the research has quantified a decrease in
4 caloric value of chinook salmon in the Kuskokwim River
5 Drainage.

6
7 Available forecasting methods and
8 sibling relationships indicate that the 2020 return of
9 chinook salmon to the Kuskokwim River may be strong
10 enough to support both an escapement near the top end
11 of the goal as well as a harvest within the historical
12 range. Concerns have been expressed by the proponents
13 over the uncertainty inherent in the methods used to
14 model the pre-season forecast and poor returns in
15 recent years. The quality of escapement in the
16 Kuskokwim River Drainage chinook salmon stocks may be
17 compromised.

18
19 Affected Regional Advisory Councils
20 have provided support for these Special Action
21 Requests. In light of all this, the OSM conclusion is
22 neutral.

23
24 Thank you.

25
26 We will now try to answer any questions
27 you may have.

28
29 CHAIRMAN CHRISTIANSON: Thank you for
30 that thorough explanation of what we have before us
31 today. I would open the floor now to any Board members
32 who may have some questions.

33
34 MR. PELTOLA: Mr. Chair. BIA.

35
36 CHAIRMAN CHRISTIANSON: Gene, you have
37 the floor.

38
39 MR. PELTOLA: Thank you, Mr. Chair. So
40 I have a series of questions in regard to the
41 biological aspect of the proposal. Whoever may want to
42 address them from OSM I'd be more than happy to hear
43 their response.

44
45 The majority of the analysis is based
46 on the forecast. I'd go to Page 42 of the analysis
47 that stipulates that the current ADF&G pre-season
48 forecast run size ranges for chinook salmon in the
49 Kuskokwim River are produced by a method in which the
50

1 range is equal to the prior year run size plus or minus
2 the recent seven-year average percent deviation of
3 subsequent year runs.

4
5 So by reading that it more or less is
6 being stated that if you're saying the forecast is
7 based on one year of data, 2019, which happened to be
8 about 100,000 fish off and we were fortunate that it
9 was 100,000 high rather than low. So based on the
10 previous eight or nine years which were all more or
11 less declining, so we had an outlier.

12
13 Throughout the analysis there's mention
14 about uncertainty in the Bethel Test Fishery, run
15 timing and everything else, but I didn't see or read
16 anything about the uncertainty in the forecast. Can
17 you please address that. I have follow-up questions,
18 Mr. Chair.

19
20 MR. HARRIS: Sir, are you speaking of
21 uncertainty in the ADF&G forecast?

22
23 MR. PELTOLA: Affirmative.

24
25 MR. HARRIS: I'm sorry. I jumped in
26 before I had the floor from the Chair. I'm sorry.

27
28 CHAIRMAN CHRISTIANSON: No, that's
29 fine. I don't mind a free flow of information once we
30 get to questions asked between Staff and Board. Expect
31 that you have free exchange until the answers are
32 satisfied.

33
34 Thank you.

35
36 MR. HARRIS: So I believe that in terms
37 of discussing the uncertainty in the ADF&G forecast,
38 ADF&G might be more appropriate to discuss that.
39 BayesTool and the AR(1) model forecast and how they're
40 wider. The forecast run is wider. We covered on ADF&G
41 on how their model is developed.

42
43 MR. PELTOLA: Mr. Chair, if I may. So
44 the reason I ask that is, like I mentioned earlier with
45 regard to the Bethel Test Fish run timing and
46 everything else, it is mentioned there's uncertainty to
47 be taken into consideration, but there was not any
48 discussion of that within the analysis in regards to
49 the forecast.

50

1 Like I mentioned, based on the
2 descriptor of the forecast, we're basically relying on
3 one data point from last year which establishes this
4 year's forecast and then the variability about that
5 point based on other historical factors, but there
6 wasn't anything in the analysis to the tune of
7 uncertainty with regard to discussion of the other
8 aspects that utilized the in-season management in the
9 analysis.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

So basically the Federal Subsistence Board is asked to make a consideration -- a one year data point which does not constitute a trend, which the forecast itself was over 100,000 fish off, but like I said fortunately it was towards the higher end.

So, with that, it's hard to expect the Board to make a decision without a full engagement or discussion about the significant portion that's going to determine our Board whether to support or oppose these special action requests as presented to us today.

And if I may, Mr. Chair, I have a couple other questions with regard to the biological section.

CHAIRMAN CHRISTIANSON: You have the floor, Gene.

MR. PELTOLA: Thank you. Let me look through my notes. So when you talked about decrease in the -- a significant decline in salmon or proportion of females, it was a generic approach saying that it could have impact on fecundity.

But I found it a bit odd that there's a significant study which was reported on by Harper and Boersma, which was written up in 2019, that stipulated that one of the most productive drainages in the system, i.e. the Kwethluk, from 2015 to 2018, it showed a 50 percent reduction in freshwater productivity, and it was not even alluded to or mentioned within the analysis.

That shows the documentation of a decline in freshwater production, like I said, from one of the most productive chinook tributaries in the watershed, that being the Kwethluk.

1 If that is the case, then those
2 reductions in freshwater productivity, the
3 outmigrations, will have compromised the base
4 population for returns from now until 2023, which can
5 allude to, if we have a reduction in outmigration, i.e.
6 the indices of productivity in the freshwater, all
7 other things being considered the same in the maritime
8 or the nearshore environment for the first couple years
9 in the deeper pelagic areas, then we could potentially
10 have a reduced run expressed here in the next several
11 years and it wasn't mentioned in the forecast at all.

12
13 Have you been exposed to that in the
14 past, that particular report?

15
16 MR. HARRIS: Yes, I have seen that
17 report. Unfortunately, it was not included. I was
18 originally told that it was not finalized and so I
19 didn't read that section -- well, actually, I never
20 really included that section. Let me take that back.
21 And then I was informed that it was finalized and it
22 was getting late in the game, so I never went back to
23 include any of that information.

24
25 It discusses how it has decreased. Lew
26 actually was a co-author. I'm not sure if he's in on
27 this call. But, yes, I've seen that report.

28
29 MR. PELTOLA: Okay. Thanks a bunch.
30 Throughout the theme of the analysis it seems like
31 there's emphasis put on the 2019 data point of having a
32 higher than expected return, which everybody, don't get
33 me wrong, appreciates and values. It seems to me the
34 long-term average of the previous seven, eight years
35 was not expressed as heavily. With reductions in those
36 years we couldn't really support a full harvest level
37 or exploitation rate as expressed by the long-term
38 subsistence use, which is varied from I think 76 to --
39 in normal years, 76 up to 100-plus, but is around an
40 80-84,000 range. So that was a challenge for me to
41 comprehend.

42
43 I think it's imperative as a Board when
44 we deliberate these actions we take into consideration,
45 one, that the forecast which should be utilized to
46 project next year return is based on a single data
47 point from last year, which was off by 100,000. If we
48 carry that over to this year, then there's some
49 inherent built-in variability that don't quite
50

1 understand how it transitions from last year to this
2 year's, but also there's information that I think was
3 pertinent to the Board to make an informed decision
4 that has not been expressed.

5
6 Like you touched upon the female -- not
7 specifically you, but the analysis touches upon the
8 fact that we have a decline in females in the
9 Kuskokwim, we have a decrease in eggs over the last
10 decades, we have a decrease in the length, which all
11 potentially could lead to reduced fecundity. So that
12 was a big challenge for me when I read through the
13 analysis.

14
15 And the caloric requirements as
16 attained by fish. There's a couple aspects which were
17 touched upon, but I think could have been elaborated.
18 If you look at the -- I don't recall what page, but the
19 analysis stipulated that 100 fish caught in the '70s
20 now equates to 125, 130 fish in current days. But also
21 in the decrease of the utilization of chinook, which
22 has been initiated on the Federal subsistence
23 harvesters on the river, as done by two means. One,
24 voluntary decrease in targeting chinook, and also by
25 regulatory action, which has kind of forced a decrease
26 in access to chinook. That's not totally addressed in
27 the analysis.

28
29 More importantly, I think that, you
30 know, say we take a hypothetical family who used to
31 take 200 kings. Now they're taking 50 kings because
32 they want to conserve. But when you try to make up
33 that difference between 50 and 200, it's not a
34 one-to-one ratio in regards to the chums and the reds
35 and chinook.

36
37 That I think could have been elaborated
38 as well such that -- and I'm not saying it's an error
39 on your part whatsoever or anybody that worked on the
40 analysis, but to expose the Board with information to
41 make a fully educated decision when considering whether
42 to support or oppose the Special Action Requests.

43
44 Bear with me one sec. That's all I
45 have for right now, Mr. Chair and I may come back at
46 another time with additional questions as we proceed
47 through the presentation.

48
49 CHAIRMAN CHRISTIANSON: Thank you,
50

1 Gene. The floor is still open for questions for Staff.

2

3 MR. SIEKANIEC: Mr. Chair. This is
4 Greg.

5

6 CHAIRMAN CHRISTIANSON: Greg, you have
7 the floor.

8

9 MR. SIEKANIEC: Thank you, Mr. Chair.
10 Gene, would you like me to see if Lew Coggins is online
11 and could possibly address that freshwater productivity
12 question you were asking?

13

14 MR. PELTOLA: I don't necessarily need
15 it. I've seen the report, so I'm fine. I was just
16 curious why it was not incorporated as part of the
17 analysis.

18

19 MR. SIEKANIEC: Okay. All right.
20 Thank you, Mr. Chair.

21

22 (Pause)

23

24 MR. SIEKANIEC: Mr. Chair. This is
25 Greg.

26

27 CHAIRMAN CHRISTIANSON: Yeah, Greg, go
28 ahead.

29

30 MR. SIEKANIEC: Maybe just one question
31 for Frank. When I think about what I thought I was
32 reading on all the different forecasts and the ones
33 that were described and we just brought up the one that
34 the Alaska Department of Fish and Game based on the
35 2019 data point and a plus or minus 7 on how the
36 previous years had influenced that.

37

38 Frank, didn't you describe that there
39 were also other forecasts that actually display a
40 larger range than the forecast provided by the Alaska
41 Department of Fish and Game using an entire time
42 series?

43

44 Thank you.

45

46 MR. HARRIS: Yes, there are two that
47 use the entire time series and they're both fairly
48 similar with their output.

49

50

1 MR. SIEKANIEC: Mr. Chair. Frank,
2 could you remind me what those were one more time. I
3 know you said them when you were going through your
4 analysis.

5
6 MR. HARRIS: Okay. Give me one second
7 here to get back to that section.

8
9 MR. SIEKANIEC: Yeah. Thank you.

10
11 MR. HARRIS: Okay. The BayesTool,
12 model prediction 95 percent probability that the 2020
13 run will return between 125,000 and 380,000 chinook
14 salmon. The AR(1) empirical model is a 95 percent
15 high-density intervals of 110,000 to 328,000.

16
17 Thank you.

18
19 MR. SIEKANIEC: Frank, that time series
20 was what?

21
22 MR. HARRIS: I don't know the exact
23 start date, but it's I believe sometime in the '70s up
24 till -- it incorporates pretty much all the data that
25 they have.

26
27 MR. SIEKANIEC: All right. Thank you.
28 Thank you, Mr. Chair.

29
30 MR. PELTOLA: Mr. Chair. BIA.

31
32 CHAIRMAN CHRISTIANSON: Gene, you have
33 the floor.

34
35 MR. PELTOLA: So, Frank, on those two
36 other models which you -- first off, could you refresh
37 my memory on the bottom end of the State's model.

38
39 MR. HARRIS: The bottom end of the
40 State's model is 193,000 chinook salmon.

41
42 MR. PELTOLA: So if you look at the
43 other two and at the bottom end of the confidence
44 interval we're talking 125,000 fish and 110,000 fish
45 versus the higher bottom end from the one that's seen.
46 I just wanted to point that out.

47
48 Thank you, Mr. Chair.

49
50

1 CHAIRMAN CHRISTIANSON: Okay. The
2 floor is still open for Board questions for Staff on
3 this.

4
5 MR. REAM: Mr. Chair. National Park
6 Service.

7
8 CHAIRMAN CHRISTIANSON: National Park
9 Service, you have the floor.

10
11 MR. REAM: Thank you. I think this
12 question would be for Pippa. I was wondering if you
13 could please clarify which communities within the
14 existing customary and traditional use determination
15 have been excluded under the 804 subsistence user
16 prioritization that starts on Page 52 of the analysis.

17
18 Thank you.

19
20 MS. KENNER: Thank you for the
21 question, Dr. Ream. Through the Chair. There are
22 eight. They are the communities on Nelson Island, on
23 Nunivak Island, the southern Kuskokwim Bay they are
24 Newtok, Tununak, Toksook Bay, Nightmute, Nelson Island,
25 Mekoryuk, Platinum, Goodnews Bay and Quinhagak.

26
27 MR. REAM: Thank you, Pippa. This is
28 Josh. Are those communities that primarily harvest
29 their chinook salmon in marine waters?

30
31 MS. KENNER: No. Platinum, Goodnews
32 Bay and Quinhagak they do rely on chinook salmon, but
33 they're chinook salmon that are returning to the
34 streams close to those communities and not within what
35 we call the Kuskokwim River Drainage.

36
37 Newtok, Tununak, Toksook Bay, Nightmute
38 and Mekoryuk actually rely more on sharing. Many of
39 those communities do not have large runs of chinook
40 salmon near their communities. Yes, if they are
41 harvesting chinook salmon, it is in marine waters.

42
43 MR. REAM: Thank you, Pippa. That's
44 all I have, Mr. Chair.

45
46 CHAIRMAN CHRISTIANSON: Any additional
47 questions for Staff on the analysis.

48
49 (No comments)

50

1 CHAIRMAN CHRISTIANSON: All right.
2 Hearing none. Do we move on next, I believe, to the
3 Regional Advisory Council recommendations, Thomas?
4

5 MR. DOOLITTLE: That's correct, Mr.
6 Chair. It would be Alissa Rogers or Eva Patton to
7 start.
8

9 MS. ROGERS: Mr. Chair.
10

11 CHAIRMAN CHRISTIANSON: Yes, you have
12 the floor, Alissa.
13

14 MS. ROGERS: Thank you, Mr. Chair.
15 This is Alissa Rogers with the Yukon-Kuskokwim Delta
16 Subsistence Regional Advisory Council. As for
17 FSA20-01, 02, 03, the Regional Advisory Council
18 recommendations, the Council voted in support of
19 Special Action Request FSA20-01, 02, 03, citing
20 concurrence with the majority of the public testimony
21 they heard during the public hearing for the Special
22 Action Request and also during the public and tribal
23 comments during the Council's meeting.
24

25 The Council expressed protecting a
26 subsistence priority during these uncertain times is
27 critical for communities situated along the Kuskokwim
28 River. The Council stated that closing to all but
29 Federally qualified subsistence users will help ensure
30 these rural communities meet their subsistence needs.
31 This is also a better tool for long-term conservation
32 of chinook salmon.
33

34 The Council agrees that the
35 justification presented in Special Action FSA20-03 the
36 quality of escapement should be considered for the
37 Kuskokwim River salmon management as the subsistence
38 fishers are seeing smaller and smaller fish. They also
39 concur that climate change impacts are creating more
40 and more uncertainty for the health of the salmon and
41 whether the successful return to spawn. The die-off of
42 salmon observed in last year's extreme warm weather
43 temperatures is of particular concern.
44

45 The Council feels it is imperative to
46 manage the salmon fishery for conservation and
47 subsistence priority in uncertain times to ensure the
48 longevity, long-term viability of Kuskokwim chinook
49 salmon to ensure that communities meet their
50

1 subsistence needs. The Council stressed that
2 subsistence communities have been doing their part for
3 conservation, restricting the harvest of chinook salmon
4 in order to help the population rebound and that
5 subsistence priority should be maintained at this time
6 so the communities can benefit from those conservation
7 efforts.

8
9 The Council further concurred with the
10 justification provided in the Kuskokwim River
11 Inter-Tribal Fish Commission's resolution in support of
12 the Special Action Request FSA20-01, 02 and 03
13 presented during the meeting of March 16-17, 2020
14 meeting. The Council made a motion in support of this
15 resolution as read into the record.

16
17 Thanks, Mr. Chair.

18
19 CHAIRMAN CHRISTIANSON: Thank you,
20 Alissa. Any questions for the Chair from the Board.

21
22 (No comments)

23
24 CHAIRMAN CHRISTIANSON: Hearing none.
25 Thank you, Alissa. Was there additional Regional
26 Advisory Council recommendations.

27
28 MR. REAKOFF: This is Jack Reakoff,
29 WIRAC.

30
31 CHAIRMAN CHRISTIANSON: You have the
32 floor, Jack. Thank you.

33
34 MR. REAKOFF: The Western Interior
35 Regional Council met in Fairbanks on March 2 and 3. On
36 the 3rd we took up the Special Action Request 20-01, 02
37 and 03. The Council supports the Special Action
38 Request. Justification. Western Interior Council
39 supports the premise of these requests.

40
41 The Council stressed that Special
42 Action Request 20-03 looks at the issue in more detail
43 and brings up several good points that were observed in
44 last year's fishery such as risk to stock, diversity,
45 high harvest rates, significant decline in body size,
46 impacts of climate-driven heat stresses on migrating
47 salmon and sources of uncertainty that increase risk.
48 These details were not considered in previous Special
49 Action Request analysis.

50

1 The Council said management actions in
2 these requests are a high priority for residents of the
3 Western Interior Region and the Federal Subsistence
4 Board.

5
6 Thank you, Mr. Chair.

7
8 CHAIRMAN CHRISTIANSON: Thank you,
9 Jack. Any questions for the Chair.

10
11 (No comments)

12
13 CHAIRMAN CHRISTIANSON: All right.
14 Hearing none. Are there any additional Regional
15 Advisory Council Chairs to speak to this action.

16
17 (No comments)

18
19 MR. DOOLITTLE: There isn't, Mr. Chair.
20 This is Tom Doolittle.

21
22 CHAIRMAN CHRISTIANSON: Okay. Thank
23 you, Tom, for that. I believe next we call on the
24 State.

25
26 MR. DOOLITTLE: This would be the
27 public comment period, Mr. Chair. That would be open
28 at your discretion. That would again have State
29 partners and tribal partners and others that could
30 speak, but the public comment aspect in a temporary
31 action is at your discretion, Mr. Chair.

32
33 CHAIRMAN CHRISTIANSON: I think we'll
34 take some public comment. I would just ask if there
35 are on this line, Operator, anyone on the line for
36 public comment, that they please try to stick to the
37 10-minute guideline that we've established just in
38 order if there is an overwhelming turnout.

39
40 So at this time I would entertain some
41 public comment as it pertains specifically to this
42 Special Action Request on the Kuskokwim. Operator,
43 thank you.

44
45 OPERATOR: Thank you, sir. If at this
46 time you would like to queue up for public comment, you
47 may do so by pressing *1 and recording your first and
48 last name. One moment, sir.

49
50

1 (Pause)
2
3 MR. DOOLITTLE: Mr. Chair.
4
5 CHAIRMAN CHRISTIANSON: Go ahead, Tom.
6
7 MR. DOOLITTLE: I would recommend,
8 since the State of Alaska is online and they are on a
9 mute button, that they do present their comments. I
10 know that Mr. Kevin Whitworth, Operator, wanted to be
11 in the queue as well.
12
13 OPERATOR: Yes, sir, and he has queued
14 up. Would you like me to open his line at this time?
15
16 MR. DOOLITTLE: It's at the discretion
17 of the Chair where he would like the comment to start.
18
19 Thank you, Operator, and Mr. Chair.
20
21 MS. ROGERS: Mr. Chair.
22
23 CHAIRMAN CHRISTIANSON: Alissa.
24
25 MS. ROGERS: Thank you, Mr. Chair.
26 Would it be appropriate if you are going to take up
27 public comment that I exchange my hat for a minute and
28 put my RAC Chair hat down and make a personal comment
29 if that's okay with you, Mr. Chair.
30
31 CHAIRMAN CHRISTIANSON: Yes, you can,
32 but since I've already called on the State I think I'll
33 let the State go, Alissa, and then I will entertain you
34 as a public commenter.
35
36 MS. ROGERS: Thank you.
37
38 CHAIRMAN CHRISTIANSON: Operator, could
39 you make the State's line available, please, and we
40 will listen to our State counterparts' recommendation
41 on this Special Action Request. Then we will open up
42 the floor to public comment.
43
44 Thank you.
45
46 OPERATOR: Thank you, sir. Whose name
47 am I looking for to open for the State?
48
49 MR. MULLIGAN: Can you guys hear me?
50

1 CHAIRMAN CHRISTIANSON: You have the
2 floor, Ben.

3
4 MR. MULLIGAN: Thank you, Mr. Chair.
5 For the record, my name is Ben Mulligan representing
6 the Alaska Department of Fish and Game. I will keep my
7 comments short. You all have our written comment, so
8 you know -- and you've discussed actually most points
9 that I would be making anyway as far as what we're
10 looking at as the 2020 pre-season outlook and what that
11 means for management.

12
13 We've described what we've done since
14 2013 to improve our management capabilities on the
15 Kuskokwim. We've laid out how we would manage the
16 Kuskokwim based off of that information and how we
17 would progress as we looked at in-season information.
18 Even mentioned the Kuskokwim River Working Group
19 meeting that's next week that helps guide us in our
20 management.

21
22 The Department is fully capable of
23 managing and conserving king salmon on the Kuskokwim
24 River and we're prepared to do so.

25
26 Thank you for listening.

27
28 CHAIRMAN CHRISTIANSON: Thank you for
29 the State. Any questions for the State from the Board.

30
31 MR. SIEKANIEC: Mr. Chair. This is
32 Greg.

33
34 CHAIRMAN CHRISTIANSON: Greg, you have
35 the floor.

36
37 MR. SIEKANIEC: Thank you. Thank you,
38 Dan. Refresh my memory. Is there any commercial
39 fishery associated with the Kuskokwim right now for the
40 chinook?

41
42 MR. MULLIGAN: No, sir.

43
44 MR. SIEKANIEC: And with a run such as
45 this size there would be no intention to have a
46 commercial fishery?

47
48 MR. MULLIGAN: No, sir.

49
50

1 MR. SIEKANIEC: Thank you, Ben.

2

3 CHAIRMAN CHRISTIANSON: Any other
4 questions from the Board for the State.

5

6 (No comments)

7

8 CHAIRMAN CHRISTIANSON: Hearing none.
9 Next, Operator, I'd call on Kevin Whitworth. He was
10 going to be recognized as the next public commenter.

11

12 OPERATOR: His line is open.

13

14 MR. WHITWORTH: Can you hear me?

15

16 CHAIRMAN CHRISTIANSON: Yes, I hear you
17 good. You have the floor, Kevin.

18

19 MR. WHITWORTH: Thank you, Mr. Chair.
20 Board members. First of all I just really appreciate
21 the moment of silence for Ray Collins. I just had
22 somebody in the community in McGrath that asked if I
23 could do that, but you guys already did it, so I really
24 appreciate that.

25

26 Anyhow, I'm Kevin Whitworth, biologist
27 for the Kuskokwim River Inter-Tribal Fish Commission.
28 I previously worked for the State of Alaska, Department
29 of Natural Resources and the U.S. Fish and Wildlife
30 Service. While at the Service I worked at various
31 Refuges throughout the state including Selawik, Tetlin,
32 Innoko, Koyukuk, Nowitna, Alaska Maritime, Yukon Delta.

33

34 My last position was the Deputy Refuge
35 Manager at Innoko National Wildlife Refuge in McGrath.
36 I currently live and raised my family here in McGrath.
37 The headwater community is the Kuskokwim River. I'm a
38 member of the McGrath Native Village.

39

40 The Kuskokwim River Inter-Tribal Fish
41 Commission, the Commission, hereby supports the
42 Temporary Special Action Request FSA20-01, 02, 03,
43 requesting the Federal Subsistence Board to provide for
44 priority consumptive uses under the provisions of
45 Section 804 of ANILCA by closing Federal public waters
46 of the Kuskokwim River Drainage to the harvest of
47 chinook salmon except by Federally qualified
48 subsistence users at the beginning of the 2020 chinook
49 salmon run.

50

1 Justification for the Commission's
2 position is based on several factors, but due to a
3 limited time here I will only concentrate on a few.
4 Simply put, number one, the Kuskokwim River chinook
5 salmon population has not yet recovered. The past 10
6 years chinook salmon runs have been the lowest on
7 record going back to the 1970s. This has resulted in
8 the past nine years of subsistence harvest needs not
9 being met. Last year 2019 was the first significant
10 increase in run size in a decade and has yet remained
11 the single year outlier, not a trend.

12
13 We can fairly ask the question what
14 other important declined populations critical to
15 subsistence would be declared recovered and subjected
16 to a full harvest rate after only one year of
17 improvement?

18
19 Number two. The Commission has
20 concerns regarding the 2020 preseason forecast. The
21 mid point of the ADF&G forecast is simply based on a
22 single year equal to the prior year's run estimate.
23 Basically ADF&G uses the 2019 run size as a 2020
24 forecast. This means this year's forecast is dominated
25 by prior years run size regardless of how good or bad
26 it was. This approach creates uncertainty, unnecessary
27 risk for the Federal Subsistence Management Program.

28
29 Let me give you a couple examples.
30 Last year the forecast was off by 100,000 chinook
31 salmon. Thank goodness it was off in the right
32 direction. It could have easily been off in the other
33 direction.

34
35 In 2013 a very optimistic forecast was
36 used between 160,000 to 240,000 chinook salmon were
37 projected to return. Yet this time the error was in
38 the other direction. Only 84,000 chinooks returned.
39 At least 100,000 off from the forecast. That year the
40 riverwide escapement goal was not met. All tributary
41 escapement goals were not met. The run was
42 overharvested and still harvest needs were not met. A
43 disaster by anyone's estimation.

44
45 The actual level of uncertainty
46 estimated using all years from 1976 to 2019 in the
47 available datasets is 110,000 to 328,000 chinook
48 salmon. Because forecasting is highly uncertain there
49 is a reasonable possibility the run will not return as
50

1 forecasted. This creates management uncertainty about
2 whether the Federal Subsistence Management Program can
3 uphold ANILCA conservation and priority use mandates.
4

5 Number three. Not only do we have
6 forecast uncertainties, we have a population showing
7 signs of long-term population decline. Studies on the
8 Kuskokwim have suggested widespread declines of the
9 proportion of females and reproductive potential as
10 well as a significant decline in overall chinook salmon
11 body size.
12

13 Another study documented significant
14 decreases in the juvenile productivity on what has
15 traditionally been one of the most productive
16 tributaries on the entire river, the Kwethluk. Add to
17 this the risks associated with high harvest rates, such
18 as overharvest of salmon from tributaries that are less
19 productive. The management uncertainties can quickly
20 become insurmountable.
21 There are examples all over the world of populations
22 managed and harvested to the point of collapse.
23

24 Number four. We have not addressed
25 environmental uncertainties, but have only touched on a
26 few of the management and population risks. I'm not
27 going to get into environmental uncertainties, but
28 there are some that some people have already mentioned,
29 like heat stress.
30

31 Number five. We are faced with a
32 number of uncertainties. Another concern we have here
33 is -- I'm going to quote from the In-season Manager Ray
34 Born's paper here. The Federal In-season Manager
35 believes restrictions to the fishery after June 11
36 would only be necessary if the cumulative passage of
37 chinook salmon before June 11 were little to none at
38 the Bethel Test Fishery, Bethel area sonar operations
39 and the subsistence fishermen were not catching any
40 chinook on the first driftnet opener. This is page 4
41 of his in-season strategy just released yesterday
42 afternoon.
43

44 Basically this trigger is too low. It
45 means that we will not be providing any meaningful
46 protection under ANILCA. If this trigger was used in
47 2013, there would have been no Federal action and we
48 know the disaster that happened then.
49
50

1 In conclusion, rarely do managers
2 encounter such widespread support of a more
3 conservative management strategy in what we have seen
4 shown by communities on the Kuskokwim River. Science
5 supports the need for a more conservative approach.
6

7 Managing a declined stock of such
8 critical importance should be inherently risk averse.
9 Given forecast uncertainty and signs of long-term
10 population decline, it would be reckless to assume that
11 a single year increase in the chinook run constitutes a
12 complete recovery.
13

14 Therefore, the Kuskokwim River
15 Inter-Tribal Fish Commission recommends adopting
16 Temporary Special Action Requests FSA20-01, 02, 03.
17

18 Thank you, Mr. Chairman.
19

20 CHAIRMAN CHRISTIANSON: Thank you. Any
21 questions from the Board.
22

23 (No comments)
24

25 CHAIRMAN CHRISTIANSON: I'd like to
26 thank you, Kevin, for calling in. Hearing no questions
27 from the Board. We'll move on to Alissa. You have the
28 floor.
29

30 MS. ROGERS: Thank you, Mr. Chair.
31 I'll go ahead and make mine very quick. My name is
32 Alissa Nadine Rogers. I'm a subsistence user out of
33 the community of Bethel. I've been a fisherman and
34 subsistence harvester since I was like two weeks old, I
35 believe was my first time when I went out because I was
36 born in the springtime. My life has been out there
37 this whole time. The only time I left was for school.
38

39 I'm taking off my RAC Chair hat and I'm
40 going to be presenting my personal opinions. I am not
41 in any legal way presenting anything from the Y-K Delta
42 RAC or any of its Council members.
43

44 As a subsistence user on the Kuskokwim
45 River over these past years and being very heavily
46 involved in the fishery since 2006, 2007 when I first
47 started really diving into these issues and going --
48 being taken under one of the greatest people who ever
49 fought for the fisheries in this region from the time
50

1 that I first met them.

2

3

4 Being kind of like mentored, I guess
5 you would say, on how to deal with the different types
6 of management styles and different types of things and
7 learning Q&As and politeness of the regulatory life and
8 regulatory year which I was training to overtake one of
9 these days.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

51

52

There was really no one my age or
within my age group that really had a huge interest in
it, so it kind of breaks my heart that we don't have
enough younger people out there who really want to dive
into this kind of stuff.

A lot of people I talk to that are my
age they're a little frustrated because they just don't
want to hear the bureaucratic B.S. of all this back and
forth, back and forth and then saying one thing and
then turning around and doing another thing. It's just
not their cup of tea, I guess.

With that being said, I understand what
we're looking up against this year. I understand what
we're looking at. Regardless of what year it is or
whatever management year you talk about you've got to
think about all these other type of things. You've got
to think about people who really have an interest in
these things and then also the bear roots of it.

A lot of the things that we talk about
in these meetings kind of turns people off and it's
really hard to follow exactly what we're talking about.
One of the things, I was working as a laws and
regulatory specialist out here for this region, was
that we had to take a lot of the emotional jargon out
to find out what the root meaning was behind any
management decisions or any management proposals that
we're being asked for.

So in regards to chinook salmon this
year and these things that you guys are going to be
talking about and discussing what your personal options
are going to be taken up, honestly, the chinook salmon
is still in conservation mode and it won't ever get
back to its glory days like everyone has been talking
about.

Our past glory days when chinook salmon

1 were amazingly huge and huge numbers, et cetera, et
2 cetera. Yeah, they were then, but they're not now.
3 The only way to repopulate or bring up these big
4 genetic stocks is by working backwards from the way we
5 went forward and figuring out where we messed up and
6 how we can fix it and fixing patches exactly the way we
7 have been doing.

8
9 Pointing fingers at each other and
10 trying to put blame on each other without actually
11 thinking about the longevity of it and the optics of
12 it, it's really pissing people off. We already know
13 that we're not ready to go into a complete unrestricted
14 fishery. We have laws and regulations that we have to
15 follow and abide by and agreements that we have to
16 abide by in regards to this fishery. People
17 acknowledge that out here and they understand that.
18 They just want some simple direction on what to do.
19 Not being told a million different things by so many
20 different types of management. They want one simple
21 let's follow this.

22
23 As for finding the right balance to
24 protect the subsistence harvest, we have to look at
25 different types of management that are productively
26 working, but then you also have to look at what were
27 they using in order to have those management decisions.
28 What data were they using, who were they using these
29 from, because if those people are the ones that are
30 giving data to the people who are actually managing
31 these fisheries, then maybe we should ask them for
32 their decisions and what they want to do as well.

33
34 My vote is that we follow through and
35 let ADF&G do their job. That's what their job is to
36 do. Now if they don't follow through in regards into
37 the fisheries because the fishery is coming in low or
38 there's something that happened and the Federal
39 management has to take over, then, yeah, we can step
40 back in and help manage the fishery this year. But is
41 this really a power management or is this just let's
42 take care of what's best and what's best for the
43 resources in regards to our situation.

44
45 ADF&G has managed strategies currently
46 in place and by regulation and with the management
47 tools to adequately prepare for the range of
48 uncertainty that they already have. They learn from
49 their mistakes. They fix their things. But they also
50

1 have the important data information to manage the
2 fishery. Regardless of the type of fishery management
3 we're all going to be talking at the same table. It
4 doesn't matter whose house we're in. We're all going
5 to be talking about the same thing.

6
7 I sit on the Kuskokwim Salmon
8 Management Working Group. I sit on the village
9 council. I sit on all these different types of things
10 and we all talk about the same thing regardless of who
11 is in charge or who is calling the shots at this point.
12 I honestly believe that let's let the people who have
13 been doing this job for a long time let them do their
14 job. If we have to take over because of some
15 scientific, some biological thing, then we can do that
16 and a lot of people on this river believe the same
17 thing.

18
19 Thank you, Mr. Chair.

20
21 CHAIRMAN CHRISTIANSON: Thank you,
22 Alissa. Any questions for Alissa from the Board.

23
24 (No comments)

25
26 CHAIRMAN CHRISTIANSON: Hearing none.
27 Operator, is there anybody else online that would like
28 to give public testimony on this proposal.

29
30 OPERATOR: Yes, sir. Thank you. Next
31 is Mike Williams, Sr. Your line is open.

32
33 MR. WILLIAMS, SR.: Thank you,
34 Honorable Chairman Tony Christianson and the rest of
35 the Board. My name is Mike Williams. I'm currently
36 the Chief of the Akiak Native Community who submitted
37 and signed the Special Action 20-01. We have been
38 submitted Special Action Requests for the last five
39 years and I really appreciate and honor the acceptance
40 of our request to help conserve our chinook in question
41 over the years since 2013, 2012.

42
43 We've been working hard and sacrificing
44 a lot during these tough times and we feel that the
45 Kuskokwim king salmon run is not yet completely
46 recovered. So in order to support conservation and
47 rebuilding we have been, like I said, sacrificing by
48 not being able to harvest as many kings as we need for
49 subsistence since 2009.

50

1 I ask the Federal Subsistence Board to
2 support these Special Action Requests. Not adopting
3 these Special Action Requests and turning management
4 over to the State would be detrimental to the
5 conservation provisions and subsistence priority uses
6 required by ANILCA because the forecast is highly
7 uncertain.

8
9 Just like we have now on the Kuskokwim
10 River with the ice. It's uncertain how we're going to
11 be affected, but we have seen what the flood has done
12 up in Napaimute currently and that's what we found out
13 from looking at the uncertain results of the river's
14 actions.

15
16 If it becomes necessary to restrict
17 harvest, the State will not provide for rural priority
18 and we know that. We've been working with this. The
19 main reason why we have asked for Federal management
20 all these years. It may be necessary to restrict
21 harvest and the State has shown that they last managed
22 in 2013 that they are not committed to the conservation
23 priorities of ANILCA.

24
25 I think it was mentioned the Federal
26 managers have that obligation to take action if there's
27 a conservation concern. I have not read that plan made
28 by the Federal Manager here, but I heard by our
29 fisheries biologist Kevin that threshold is too low and
30 too risky and I agree with him.

31
32 Given the uncertainty and risk factors,
33 it is the job of the Federal Subsistence Program to
34 first verify that there is sufficient abundance before
35 allowing ADF&G to manage because the State of Alaska
36 cannot provide a rural preference or subsistence
37 priority.

38
39 I ask the Federal Subsistence Board to
40 support these Special Action Requests because we want
41 you to uphold ANILCA and we don't want to see the gains
42 that we have made over the years lost into dust.
43 People on the Kuskokwim River are thankful for the
44 Federal government has for the past six years helped us
45 conserve our subsistence salmon while we are using to
46 feed ourselves with the Federally qualified users.

47
48 Lastly, I want to thank the
49 Yukon-Kuskokwim Delta RAC for unanimously supporting
50

1 all three SARs. From the full RAC meeting I applaud
2 even the Yukon RAC members fully supporting our Special
3 Action Request. Again, in these times of uncertain
4 times I think we need to have a better record instead
5 of going with last year. I think our goal was to go on
6 that trend.

7
8 Right now is not the time to put our
9 chinook at risk for abruptly changing the management.
10 So I urge you and implore you to continue this effort
11 and maybe in time if we have that good track record
12 then we will do it.

13
14 Thank you for your time, Mr. Chairman.

15
16 CHAIRMAN CHRISTIANSON: Thank you,
17 Mike. Good to hear you. I'm glad you took the time to
18 call in today and speak on behalf of the Kuskokwim
19 River people. Any questions for Mike.

20
21 (No comments)

22
23 CHAIRMAN CHRISTIANSON: Hearing no
24 questions for Mike. We'll ask if there's any other
25 public online.

26
27 OPERATOR: Thank you, sir. The next
28 comes from Lee Wallace. Your line is open.

29
30 MR. WALLACE: Thank you, Mr. Chair.
31 Thank you FSB Board. I'll make it real brief. I'm
32 just in support of all the Special Action Requests at
33 this time. Stating the reasons from all that was
34 presented from all the individuals supporting this
35 action. I'll just thank you for that.

36
37 That's all I have.

38
39 CHAIRMAN CHRISTIANSON: Thank you, Mr.
40 Wallace. Thank you for calling in and supporting the
41 Special Actions.

42
43 Any other public testimony online.

44
45 OPERATOR: The next comes from Curry
46 Cunningham. Your line is open.

47
48 MR. CUNNINGHAM: Hello. Thank you for
49 the opportunity to speak today. My name is Curry

50

1 Cunningham. I'm a professor of quantitative fisheries
2 with the University of Alaska Fairbanks. However,
3 today, I'm representing the Kuskokwim River
4 Inter-Tribal Fisheries Commission and providing public
5 comment because a portion of my work related to
6 preseason forecasting methods was referenced in the
7 FSA20 staff analysis.

8
9 The central message of my comment
10 relates to how uncertain generally preseason forecast
11 for chinook salmon in the system actually are and
12 potentially how that should influence our level of
13 precaution when developing and implementing our harvest
14 strategies.

15
16 Predicting the number of salmon that
17 will return prior to the season is challenging,
18 particularly for chinook salmon in the Kuskokwim River.
19 These predictions haven't proven to be extremely
20 accurate historically, resulting in large sort of
21 quote/unquote forecast ranges as we talked about
22 earlier.

23
24 I want to be clear that these broad
25 forecast ranges are not a reflection of the quality of
26 the work or abilities of fisheries managers or
27 scientists, but actually a reflection of the quality of
28 the data we have available on which to base these
29 preseason forecasts and how inherently predictable or
30 unpredictable salmon returns are across time for the
31 system.

32
33 Nonetheless it's pretty important that
34 we fully account for the uncertainty in our salmon
35 forecasts because a forecast is really more than just a
36 point estimate. It requires us to think about how
37 likely we are to be wrong and to really identify how
38 much risk we incur if we are wrong in our preseason
39 forecast.

40
41 To that end I was asked to explore
42 uncertainty in alternative forecast methods for the
43 system. My conclusion was generally, among others,
44 that the method used by the Alaska Department of Fish
45 and Game for quantifying forecast uncertainty, that
46 kind of seven-year error rate, really does not
47 adequately capture the full range of uncertainty for
48 the 2020 Kuskokwim chinook forecast for run size of
49 2020 season. It's more appropriate I think to use the
50

1 entire time periods of observations to quantify the
2 true level of uncertainty in our preseason forecast.

3
4 You know, as we talked about before,
5 the current preseason forecast methods for the system
6 predict the number of king salmon of the current year
7 as being equal to the number that returned or were
8 reconstructed in the previous year. That is to say
9 that the 2019 run size prediction was based on the 2018
10 reconstructed run size and the 2020 run size prediction
11 is based on what we observed in 2019. While there's a
12 valid justification for this method based on the data,
13 we should be clear that these predictions are not
14 perfect and there's a fairly high level of uncertainty.

15
16 My other comment relates to what
17 happens when our forecasts are wrong. We should be
18 clear that the risk associated with an overly
19 optimistic forecast is higher than that of a forecast
20 that turns out to be lower than the true run size. If
21 the 2020 salmon return turns out to be higher than the
22 forecast, there's a risk in the near term that we
23 harvest too little in 2020. That is to say we forego
24 potential yield this coming summer for the current
25 year.

26
27 However, if the run size turns out to
28 be lower than the forecast and misleads us to harvest
29 too many salmon, the impacts are felt across several
30 future years as a result of lower than potential
31 production from this 2020 brood year. In this way the
32 risk associated with an over-forecast or an
33 under-forecast event is not equal and there's greater
34 risk associated with an overly-optimistic forecast in
35 my opinion.

36
37 In summary, I guess given the limited
38 information available within the season to inform
39 management, harvest strategies for Kuskokwim River
40 chinook salmon are pretty heavily reliant on preseason
41 forecasts. It's pretty critical that we ensure that
42 we're fully aware of just how uncertain these preseason
43 forecasts are and consider how this impacts our
44 willingness to propose potentially more risk prone
45 harvest strategies early in the season.

46
47 Thank you.

48
49 CHAIRMAN CHRISTIANSON: Thank you. Any
50

1 questions from the Board.

2

3 MR. SIEKANIEC: Mr. Chair. This is
4 Greg.

5

6 CHAIRMAN CHRISTIANSON: Go ahead, Greg.

7

8 MR. SIEKANIEC: Yeah, I think you just
9 referenced the thinking or the adoption of perhaps more
10 risk prone strategies early in the season. Can you
11 give me an idea of what you were referencing there.

12

13 MR. CUNNINGHAM: Well, you know, we go
14 into the season with a certain idea of how we're likely
15 to manage and how much fishing opportunity is going to
16 be provided. To some extent in this fishery versus
17 other salmon fisheries throughout the state that's
18 based more on the preseason forecast just because of
19 the limited utility of in-season information early on.
20 So directly related to harvest opportunity I would say.

21

22 MR. SIEKANIEC: Thank you, Mr. Chair.

23

24 CHAIRMAN CHRISTIANSON: Any other
25 questions from the Board.

26

27 (No comments)

28

29 CHAIRMAN CHRISTIANSON: Thank you for
30 taking the time to call in today and share that.

31

32 MR. CUNNINGHAM: Thank you very much.

33

34 CHAIRMAN CHRISTIANSON: Operator, is
35 there anybody else online who would like to give
36 testimony.

37

38 OPERATOR: Yes, sir. The next comes
39 from Bob Sattler. Your line is open.

40

41 MR. SATTLER: This is Bob Sattler. I
42 just want to confirm you can hear me.

43

44 CHAIRMAN CHRISTIANSON: You've got the
45 floor, Bob. Hear you loud and clear.

46

47 MR. SATTLER: Okay. Thank you. I
48 appreciate the opportunity to make a few comments. Bob
49 Sattler with Tanana Chiefs Conference. I work with

50

1 Kevin Whitworth fairly closely. I'd like to just make
2 a few comments on another kind of science.

3
4 With Tanana Chiefs I've worked as the
5 cultural resources manager and an archaeologist for
6 several years and I've had the great privilege in the
7 last few to be working there in McGrath on an ancient
8 habitation site, the Tochak-McGrath discovery.
9 Pre-contact archaeological site where there is a
10 disproportionate amount of fish. As part of that
11 research it got me familiar with some of the ancient
12 DNA studies being done with salmon and particularly
13 chinook salmon.

14
15 There's sort of a long story there, but
16 in my review of some of that literature, particularly
17 in the Columbia and the Klammath River, there have been
18 ancient DNA studies from ancient subsistence camps that
19 have demonstrated a great loss of diversity in those
20 fisheries. Largely it's due to the modern fishing
21 practices, commercial fishing, overharvesting and
22 particularly the canneries, hatcheries.

23
24 We don't have that data for the
25 Kuskokwim, but what the studies have shown is the loss
26 of diversity and the loss of diversity is translated to
27 the loss of adaptability with future climate
28 challenges.

29
30 So I say that in support of these
31 Special Action Requests and to emphasize the
32 conservation side of the fisheries and then this
33 request limiting the fisheries to the qualified Federal
34 subsistence users.

35
36 There may be others to testify here, so
37 I'm going to leave it at that. I appreciate the
38 opportunity of sharing my comments with you.

39
40 Thank you much, Mr. Chairman and the
41 Board.

42
43 CHAIRMAN CHRISTIANSON: Thank you for
44 taking the time to call in. Any questions from the
45 Board.

46
47 (No comments)

48
49 CHAIRMAN CHRISTIANSON: All right.

50

1 Hearing no questions from the Board, we'll ask if
2 there's any additional public testimony.

3
4 OPERATOR: Thank you, sir. The next
5 comes from Daniel Schindler. Your line is open.

6
7 MR. SCHINDLER: Good afternoon. I'm
8 Daniel Schindler. I'm a professor of fisheries at the
9 University of Washington. Thank you, Mr. Chairman for
10 this opportunity. I have been asked by stakeholders to
11 call in and comment on the Special Action Requests
12 being considered today and provide a scientific summary
13 of panels.

14
15 This is a chair that was commissioned
16 by the Arctic Yukon Kuskokwim Sustainable Salmon
17 Initiative. The expert panel was represented by
18 scientists from U.S. Fish and Wildlife Service, Alaska
19 Department of Fish and Game, Canada Department of
20 Fisheries and Oceans, University of Alaska Fairbanks
21 and University of Washington.

22
23 What we were asked to do is quantify
24 the trends and the quality of the fish returning to
25 spawn in the Kuskokwim River. Obviously there's a lot
26 of anecdotal traditional knowledge and traditional
27 observations about changes in the sizes and the sex
28 ratios of fish in the Kuskokwim over the last few
29 decades. So our goal was really to quantify these
30 trends in scientific terms.

31
32 Earlier, maybe an hour ago, someone
33 summarized some of our findings, so some of this will
34 be a bit repetitive, but I'll say it again. We
35 considered data that were available between 1972 and
36 2017. We asked how changes in the sex ratio of fish --
37 how big those sex ratio changes have been, how big the
38 changes in age composition have been and how big the
39 changes in the size at age of fish have been and then
40 basically add up all those changes and ask how much has
41 reproductive potential declined in the Kuskokwim
42 between 1972 and 2017.

43
44 As we heard earlier, what we see is an
45 overall nine percent decline in average length of
46 Kuskokwim chinook. Which may not sound like much
47 except when you re-express that in terms of how many
48 eggs those fish are carrying. So a nine percent
49 decline in mean length of fish returning to the
50

1 Kuskokwim translates into 21 percent fewer eggs.

2

3 It turns out that bigger females carry
4 bigger eggs as well as more eggs. The reason that's
5 important is it's thought that the larger the egg the
6 higher survival or the higher the probability of
7 survival of those juvenile fish. So if we then
8 translate these changes in size into changes in the
9 total egg mass brought back to the river by migrating
10 fish, we see a decline of 35 percent.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

On top of that we see a shift towards
more males and fewer females returning to the river and
when we account for that we see a 40 percent decline in
the reproductive potential of your average fish
returning to the Kuskokwim River between 1972 and 2017.

It's noteworthy that the last two
observations we looked at were for 2016 and 2017 and
those two years were actually substantially below the
smooth trend that we fit to the long-term data. So
what this is saying is that sizes and ages of fish has
been declining for 40 years and it's showing signs that
it may actually be accelerating.

This is what I heard earlier on the
call today is that even though the return in 2019 was a
relatively strong return compared to what's been seen
in the last few years, almost half those fish were age
4 fish, which you can interpret in two ways. One is
that if you think about sibling return relationships
and if the age composition had stayed the same, we
might be optimistic that 2020 would have a big run
coming back to it.

The flip side or the alternative
perspective is that we had a return last year that was
half very young fish, which is consistent with the
long-term trend we've been seeing towards younger fish
in the river. The point is simply that the river right
now has about 40 percent less reproduction potential
per fish in the escapement than it did in the 1970s.

The reason this is important for the
discussion going on today is that the escapement goals
that have been set are really informed by a
relationship between the recruitment produced by
different spawning sizes and those relationships are
typically very uncertain as we've heard with regards to

1 several aspects of the biology today.

2

3 They include data that were collected
4 the last couple years, but also years back in the
5 1970s, which means that those relationships are
6 conditional on observations from earlier in the time
7 series when the average fish in the escapement was
8 simply worth a lot more reproductively than they are
9 currently.

10

11 The last point I'd like to make is that
12 there's been some discussion of the utility of a 6-inch
13 mesh size really helping us in this situation where a
14 6-inch mesh size should focus on capturing smaller fish
15 and that the big ones can escape and become part of the
16 spawning populations. While that may be true if
17 there's lots of big fish around to avoid being caught
18 in the 6-inch gillnets.

19

20 We need to be cognizant of the fact
21 that fish returning to the river right now are simply a
22 lot smaller than they used to be and those big rare
23 highly reproductively valuable females are simply an
24 increasingly rare part of the population and therefore
25 an increasingly rare part of the escapement.

26

27 Thanks again for this opportunity.

28

29 CHAIRMAN CHRISTIANSON: Thanks for
30 taking the time to call in. Any questions from the
31 Board.

32

33 (No comments)

34

35 CHAIRMAN CHRISTIANSON: Hearing none.
36 We'll check with the Operator if there's any additional
37 public testifiers online.

38

39 OPERATOR: Thank you, sir. The next
40 comes from Joseph Spader. Your line is open.

41

42 CHAIRMAN CHRISTIANSON: Mr. Spader, are
43 you online?

44

45 OPERATOR: It looks like he's dropped
46 out of the queue, sir. The next comes from Jim Simon.
47 Your line is open.

48

49 MR. SIMON: Thank you, Operator. Thank

50

1 you, Mr. Chairman and members of this Board for this
2 opportunity to comment. For the record, my name is Jim
3 Simon. I'm an independent consultant for the purposes
4 of this call with the Kuskokwim River Inter-Tribal Fish
5 Commission and the Tanana Chiefs Conference Hunting and
6 Fish Task Force.

7
8 I first began working in the Kuskokwim
9 watershed and learning about subsistence salmon fishing
10 21 years ago as an applied anthropologist for the
11 Tanana Chiefs Conference working with establishing
12 government-to-government relationships between the 37
13 Federally recognized tribes of the Tanana Chiefs
14 Conference including the Upper Kuskokwim Tribes in the
15 headwaters.

16
17 To address the impacts of the military
18 facilities and the contamination associated with them
19 on concerns regarding the impacts on chinook salmon and
20 other salmon species in the headwaters communities of
21 the Kuskokwim.

22
23 Subsequent to that I worked for 14
24 years as the Regional Supervisor of the Department of
25 Fish and Game's Division of Subsistence responsible for
26 the Arctic, Yukon and Kuskokwim drainages. Wherein in
27 2007 I published the first comprehensive subsistence
28 salmon harvest compilation assessment and
29 methodological description covering the Kuskokwim River
30 Subsistence Salmon Harvest Monitoring Program from the
31 years 1989 to 2004.

32
33 During my State service I also spent 13
34 years as the vice chairman of the Arctic Yukon
35 Kuskokwim Sustainable Salmon Initiative Steering
36 Committee, which consists of the Bering Sea Fishermen's
37 Association, the Department of Fish and Game's Division
38 of Commercial Fisheries and Subsistence Division, the
39 National Marine Fisheries Service, Fish and Wildlife
40 Service, Association of Village Council Presidents,
41 Kawerak and the Tanana Chiefs Conference.

42
43 The Steering Committee is the
44 governance policy and funding decision-makers for the
45 Initiative and have funded well in excess of \$20
46 million from United States Congress to study the salmon
47 population dynamics, particularly of chinook salmon.
48 Many of the results of the research funded by the
49 Initiative are now greatly informing Kuskokwim chinook
50

1 salmon fisheries science and management, as you have
2 been hearing from the experts testifying today.
3

4 Following my State service I worked for
5 the Bering Sea Fisherman's Association as the chairman
6 of the Kuskokwim Regional Planning Team charged with
7 the development of a Kuskokwim Area Comprehensive
8 Salmon Plan. I analyzed and assembled and described
9 the commercial fisheries, the sport fisheries and the
10 subsistence fisheries data from the 1970s through 2015.
11 I authored the first Draft Comprehensive Salmon Plan
12 for the Kuskokwim area.
13

14 I want to express my support for all
15 three Special Actions, particularly Special Action
16 Request 20-03. I'm going to focus the rest of my
17 testimony on the thought that I have been giving my own
18 experience after the Yukon Delta Refuge Manager, a
19 meeting between the commission and the Fish and
20 Wildlife Refuge Staff a couple days ago this week.
21

22 Wherein the Manager, when we were
23 discussing the 2013 season, expressed the sentiment
24 that the State, the Fish and Wildlife Service and the
25 fishermen were at fault that season. While I'm not
26 sure that I would be comfortable sharing that fishermen
27 were responsible for that tragedy of the comment, I was
28 the State Subsistence Division Regional Supervisor
29 during that time.
30

31 I've contemplated the statement for the
32 last couple of days and trying to assess my own
33 culpability as a State official during that year. It
34 was a year with a brand-new manager and it turns out
35 that it was a very overly optimistic forecast that was
36 not realized and I think surprised everyone. I think
37 there's still a lot of concerns about it.
38

39 I appreciate Ben Mulligan's comments
40 earlier that the State is always learning from
41 experiences like that, but I want to just say I'm not a
42 biologist, I'm an anthropologist. Considering the
43 statements made this week about the 2013 season, I'm
44 concerned that the 2020 Fish and Wildlife Service's
45 strategy that was provided yesterday, which was written
46 yesterday, did not advance any new metrics or
47 strategies to avoid a similar Federal failure like the
48 Refuge Manager suggested earlier this week in 2013.
49
50

1 I am also quite concerned that the OSM
2 analysis and all of these discussions has not brought
3 up my own observations from the 2019 season with the
4 run reconstruction that is basically the single data
5 point that's been forming the 2020 forecast.

6
7 I just remember fishermen from the
8 Middle Kuskokwim River all the way to the headwaters
9 last summer and hearing that there was 100,000 more
10 chinook salmon in the river and they kept asking where
11 they were and where they were going. I don't know if
12 actually even the phrase ghostfish started to be
13 discussed. There was concern that maybe some of them
14 or a large number of them died of heat stress.

15
16 But I appreciate the Special Action
17 Request. I do not contest the 2019 run reconstruction,
18 but I think it's important for the Federal Subsistence
19 Board's deliberations to really consider that I
20 personally am not convinced that the 2019 run
21 reconstruction is as accurate as people may be assuming
22 because there were still difficulties in low density
23 fish in the upper parts of the river when there should
24 have been plenty of fish. So that is quite concerning
25 to me.

26
27 I'm also concerned that this 2020
28 strategy outlined in some of the dialogue and questions
29 raised by the Commission really causes me to be
30 concerned that the Refuge's statutory obligations to
31 protect the natural diversity of chinook salmon
32 sub-stocks and restoring chinook salmon within the
33 Kuskokwim watershed are being given lower priorities in
34 deference to the State. That's just concerning to me.

35
36 I realize that Federal annual bonuses
37 are measured and somewhat determined by getting along
38 well with the State of Alaska and I just am quite
39 concerned about the Title III, the Title VIII
40 obligations in ANILCA, as well as the obligations
41 outlined in the Refuge's Administration Act really
42 should be being considered and taking a much more
43 precautionary approach than is currently being
44 recommended by the Fish and Wildlife Service.

45
46 Thank you very much for this
47 opportunity to testify, Mr. Chairman.

48
49 CHAIRMAN CHRISTIANSON: Thanks. Any
50

1 questions.

2

3

(No comments)

4

5

6

CHAIRMAN CHRISTIANSON: Thank you for taking the time to call in today. Operator, any other public testimony online.

7

8

9

10

OPERATOR: Yes, sir. The next comes from Joseph Spader. Your line is open.

11

12

13

MR. SPADER: Thank you. Appreciate the opportunity to be able to make comments. I wanted to bring home a couple points very briefly.

14

15

16

17

18

19

20

21

22

23

24

First, I want to emphasize that the information provided by the report by Harper and Jim Boersma that was not included in the analysis is significant because it is the only information that we have to provide about the status of the run after spawning and based on juvenile productivity. Again, there was a 50 percent decrease from 2015 each year to 2018 with the final -- with those years returning currently.

25

26

27

28

29

30

31

32

33

34

35

I also wanted to follow up on a concern in regards to the Refuge Manager's 2020 management strategy where he says specifically that he believes restrictions to the June fishery after June 11th would only be necessary if cumulative passage of chinook salmon before June 11th were little to none at the Bethel Test Fishery sonar operations and the subsistence fishermen were not catching any salmon on the first driftnet opener.

36

37

38

39

40

41

42

43

44

45

That would be a risk prone target and that's because in the years even of Federal management 2014 through 2019, particularly 2014 to 2018, there were harvests in that opener, in the first opener, that were fairly significant and yet the run was not sufficient to provide for subsistence. I think the use of no fish before June 11th is a highly risk-prone approach. In other words, it does not provide protections for chinook salmon under ANILCA.

46

47

48

49

50

In summary, we've heard a lot of discussion about the forecast and specifically forecast uncertainty. We now know that the true forecast, that is number of fish that may actually return, is highly

1 uncertain. Therefore, given that high degree of
2 uncertainty about the number of fish, what is being
3 asked in Special Action 20-03 is simply that the
4 chinook salmon season begin under Federal management in
5 order to provide assurances that the actual 2020
6 abundance is sufficient to meet the conservation and
7 priority use provisions of ANILCA.

8
9 In other words, Mr. Albertson's Special
10 Action Request is trying to help the Federal
11 Subsistence Program be more risk adverse. In summary,
12 the Federal Subsistence Board cannot safely rely on a
13 highly uncertain forecast to provide reasonable
14 assurances to Federally qualified users that that 2020
15 run will be sufficient to ensure the provisions of
16 ANILCA will be upheld.

17
18 The only real way, given the
19 uncertainty and the pattern of decline, for the Federal
20 Subsistence Board to assure the provisions of ANILCA
21 will be met is to actually provide early in-season
22 assessment and if that run abundance is adequate to
23 turn it over to the State at that time, but not before.

24
25 That's all my comments.

26
27 Thank you very much for the opportunity
28 to speak.

29
30 CHAIRMAN CHRISTIANSON: Thank you for
31 taking the time to call in, Mr. Spader. Any questions
32 from the Board for Mr. Spader.

33
34 (No comments)

35
36 CHAIRMAN CHRISTIANSON: All right.
37 Hearing none. Thanks again for calling in. Operator,
38 is there anybody online that would like to testify
39 today?

40
41 OPERATOR: Thank you. The next comes
42 from Karen Linnell. Your line is open.

43
44 MS. LINNELL: Good afternoon. Thank
45 you, Board and Mr. Chair for the opportunity to speak
46 to you. I am Karen Linnell, the Executive Director for
47 the Ahtna Intertribal Resource Commission and I am
48 speaking in support of the Special Action Request to
49 close the waters to non-Federally qualified users.

50

1 I just wanted to say that the Federal
2 trust responsibility is there and you cannot pass it
3 off to the State of Alaska to manage. Unlike Alissa,
4 who spoke earlier, I believe that the State's
5 management has gotten us into this crisis stage and
6 that subsistence uses have been severely limited in the
7 last several years because of that mismanagement.

8
9 Folks there on the Kuskokwim have been
10 trying to conserve and regenerate that population there
11 with their conservative actions and have asked for
12 assistance in this. The State's resistance to this
13 co-management effort and/or the sharing of the
14 information, we had the same issue here a couple years
15 ago when we were told our chinook return was going to
16 be low and it was based on previous years' data.

17
18 We sat here and went through our own
19 history of the weather, of the water. We had a flood
20 the year Grandma Katie John died and it was five, six,
21 seven years later they're telling us we were going to
22 have a low return. We ended up having a record return
23 because they weren't taking into consideration all the
24 other factors that was happening.

25
26 One of the things with State escapement
27 levels as well that we had here is that management was
28 going to lower the escapement goals so that they can
29 continue to harvest. So we had to fight long and hard
30 to stop them from doing that.

31
32 I'm not sure what happens there on the
33 Kuskokwim, but this is just an example of how the State
34 manages. We need to have a sustained yield and that
35 often gets misinterpreted and interpreted as we need to
36 keep taking at the same level regardless of the
37 sustainability of that.

38
39 So I disagree with Ms. Alissa to let
40 the State do their job. I think the Federal government
41 has a responsibility to manage these resources. The
42 sharing of the data is there. I see it here. The
43 conversations are happening. You have an in-season
44 management team that meets every week to discuss what's
45 happening almost daily sometimes I think. They're the
46 ones with their boots on the ground there and they see
47 what's happening.

48
49 I really dislike the Federal agencies
50

1 and their let's kind of hands-off approach into
2 management. To me it's kind of like they don't want to
3 get their hands dirty, you know, or they don't want the
4 responsibility. It's too much.

5
6 The other thing that I noticed while I
7 was visiting there in Aniak last year and listening to
8 some of the stories there it was -- there's a boundary
9 line that goes across the river and if you go up north
10 of that, it's Federal land and Federal jurisdiction,
11 and you cross that line again it's State jurisdiction.

12
13
14 The Federal responsibility is from the
15 headwaters to the ocean and back and not on this
16 checkerboard pattern. That responsibility is for the
17 entire fishery stock and you need to take that
18 ownership and work with it and manage it.

19
20 Thank the good Lord here that our river
21 happens to be the boundary for the Wrangell-St. Elias
22 National Park and, therefore, the jurisdiction is for
23 the entire river. Otherwise we'd be in the same
24 situation.

25
26 I just think that you need to man up
27 and manage and take care of the salmon stock in the way
28 that it should be so that it can replenish. I just
29 thank you for your time and your consideration.

30
31 CHAIRMAN CHRISTIANSON: Thank you,
32 Karen, for calling in. Any questions for Karen?

33
34 (No comments)

35
36 CHAIRMAN CHRISTIANSON: We appreciate
37 you taking the time today, Karen, to call in. The best
38 to you. Operator, is there another public online that
39 would like to testify at this time?

40
41 OPERATOR: Yes, sir. Thank you. The
42 next is Barb Carlson. Your line is open.

43
44 MS. CARLSON: Yes, this is Barb
45 Carlson. Can you hear me?

46
47 CHAIRMAN CHRISTIANSON: Yes, Barb, you
48 have the floor.

49
50

1 MS. CARLSON: Okay. Thank you. I'm
2 Barb Carlson. I live on the Upper Kuskokwim River just
3 outside of Sleetmute and I'm a subsistence fisherman.
4 I also sit on the Stony/Holitna Advisory Committee, so
5 that's a State ADF&G organization, and I have a seat on
6 the Kuskokwim River Salmon Management Working Group.
7 So I've got some knowledge of salmon on this river.

8
9 I'd like to start by saying I am not in
10 favor of any of the Special Action Requests, 01, 02 or
11 03. I agree wholeheartedly with all the good reasons
12 given for those requests. Our king salmon are in
13 trouble. They are still in need of conservation. The
14 risk is terrible for them. We're not getting enough.
15 We're not meeting ANS. We need to be concerned about
16 our kings. We're not out of the woods yet. Those are
17 all very good reasons.

18
19 My problem with the Special Action
20 Request is that I'm not sure that Federal management is
21 the solution. I think the State management can do it.
22 My problems with the Federal management that these
23 Special Action Requests would grant to the lower part
24 of the river has to do with what I've seen happen in
25 the past.

26
27 There is little or no enforcement.
28 They may come out with the very best of regulations,
29 but for whatever reason, particularly last year because
30 of the John Sturgeon decision at the Supreme Court
31 level, there was no Federal control in terms of law
32 enforcement over having only Federally qualified users
33 out fishing, making sure that the correct nets were
34 being used at the correct time so that nets weren't in
35 the river when they were supposed to be.

36
37 I think all the things that are put in
38 writing and all the things that were decided were
39 wonderful, but I didn't see that happening under
40 Federal management. So it's like there were good
41 decisions, but they didn't have the follow through and
42 that concerned me greatly. I guess I don't see that
43 changing this year.

44
45 Being a person who lives in the upper
46 part of the river, I've always lived under State
47 management. I know that lots and lots of folks find it
48 very confusing to have one type of management in one
49 part of the river and another management by the State
50

1 in the upper part. I think the previous person who
2 spoke put it very well about the line in Aniak. I
3 cannot imagine living in Aniak and having different
4 regulations right within your own town depending on
5 which waters you were fishing in.
6

7 I think it's confusing. I think it's
8 unnecessary. I think the State can do a good job on
9 the chinook or as good a job as can be done in these
10 times of climate change. I don't think they want to
11 have us lose our chinook. I don't think they're the
12 bad guys. I think it would be better under State
13 management than under Federal management. I think that
14 the people who want it to be under Federal management
15 have all the right reasons for that. I just don't think
16 I'm seeing the outcome under the Refuge supervision as
17 getting them anywhere near what they want and I think
18 the State can do it.
19

20 Thank you for your time and for
21 listening to me.
22

23 CHAIRMAN CHRISTIANSON: Thank you,
24 Barb. Appreciate you taking the time to call in and
25 give us your perspective today. Any questions from the
26 Board.
27

28 (No comments)
29

30 CHAIRMAN CHRISTIANSON: All right.
31 Hearing none. Again, appreciate you calling in and
32 sharing that with us. Operator, is there anybody else
33 online who would like to be recognized for public
34 testimony at this time?
35

36 OPERATOR: Thank you. The next comes
37 from Chariton Epchook. Your line is open. It looks
38 like they've disconnected from the call. The next
39 comes from Evan Nikolai. Your line is open.
40

41 MR. NIKOLAI: Hello. Thank you very
42 much for allowing me, Mr. Chairman, to address you and
43 the Federal Subsistence Board. I'd like to also send
44 my gratitude for all of the Staff that are diligently
45 addressing the documents and also the Special Action
46 Request documents and then conferencing that was
47 necessary to be able to have the Organized Village of
48 Kwethluk representative speak on their behalf.
49
50

1 I wanted to thank the Board for
2 allowing us to have this time for public to have their
3 comments be made. The Organized Village of Kwethluk
4 under the Kwethluk IRA Council has participated in many
5 conferences and provided written statements and signed
6 on their own behalf to participate in these public
7 concerns and for many years all of our elders have made
8 comments in regards to making sure that our communities
9 here in the Kuskokwim Delta are trying to conserve the
10 fish and their essential needs, which are to provide
11 food on their table.

12
13 Then to allow for the Special Action
14 Request to be submitted on behalf of the Organized
15 Village of Kwethluk. I appreciate this time for you to
16 consider the Organized Village of Kwethluk's Special
17 Action Request so that we're continuing the effort to
18 ensure that the people in our area are represented and
19 that the needs of the village and the communities that
20 surround our community are allowed to continue their
21 traditional and customary practices that enables them
22 to provide fish on their racks and to allow them to
23 bring salmon in their places of gathering them and
24 preparing them for consumption.

25
26 The continued effort that the Federal
27 Subsistence Board has made to ensure that tribes are
28 able to participate in these processes is commendable
29 and we applaud the Board for their efforts to allow us
30 to be able to at least make a comment about how
31 important it is to continue this effort to abide by the
32 laws that the Federal government has allowed the people
33 in our area to subsist and bring their livelihood of
34 salmon and all of their needs to be met for a short
35 period of time.

36
37 Most of the salmon that are gathered by
38 subsistence users are being capped through limitations
39 of when the people can go out and then even the idea
40 that there are limitations of mesh sizes are another
41 factor. The ability that the government has allowed us
42 to be able to do, which is to participate and make
43 comments just as we are doing today, I support your
44 efforts and then push forward that the Organized
45 Village of Kwethluk's Special Action Request be
46 honored.

47
48 And thank you for the time that you
49 have allowed me to speak on behalf of the community
50

1 here.

2

3

Thank you very much.

4

5

6

CHAIRMAN CHRISTIANSON: Thank you for taking the time to call in today. Are there any questions by the Board?

7

8

9

(No comments)

10

11

12

CHAIRMAN CHRISTIANSON: Hearing none. Operator, is there anybody else online who would like to be heard?

13

14

15

OPERATOR: The next comes from Chariton Epchook. Your line is open.

16

17

18

MR. EPCHOOK: Thank you. I'm Chariton Epchook, chairman of Kwethluk. We got cut off just when we got called to testify. Thank you for giving me this opportunity to testify, Mr. Chairman and Board.

19

20

21

22

23

Kwethluk, Incorporated supports all three of the Special Action Requests and requests that you as the Board approve to Federalize the Kuskokwim River which is within the Yukon Delta National Wildlife Refuge as it has done in the previous years. It's only appropriate for U.S. Fish and Wildlife to manage the whole river. Not by sections, but the whole river within this Refuge.

24

25

26

27

28

29

30

31

32

We would like to see the same openers that we have seen in the previous year with the same restrictions that were set. If we are to use 25 fathoms, we want to see 25 fathoms being used throughout the Kuskokwim River. We felt that we were the only person on the Kuskokwim River, the Middle Kuskokwim. We felt like we were restricted more than the lower portion of the river. Most of the people here in Kwethluk did not like that and we would like to see that the whole river, if there's restrictions, that they use 25 fathoms.

33

34

35

36

37

38

39

40

41

42

43

44

45

That's about it.

46

47

Thank you very much for giving me this time to testify.

48

49

50

1 CHAIRMAN CHRISTIANSON: Thank you.
2 Thank you for taking the time to call in. Any
3 questions from the Board.

4
5 (No comments)

6
7 CHAIRMAN CHRISTIANSON: All right.
8 Appreciate it again. Operator, anybody online that
9 would like to be recognized.

10
11 OPERATOR: Thank you. The next comes
12 from Bruce Urban. Your line is open.

13
14 MR. URBAN: Hello. Thank you. Can you
15 hear me okay?

16
17 CHAIRMAN CHRISTIANSON: Yes. You have
18 the floor.

19
20 MR. URBAN: Thank you, Chairman.
21 Members of the Board and Staff. My name is Bruce Urban
22 and I work for the Tanana Chiefs Conference, Hunting,
23 Fishing, Gathering Task Force.

24
25 Just to start off, Alaskan Natives
26 learn respect from our elders in the community. We
27 take great care of the land, animals, and salmon
28 because it's our way of life. We have heard previously
29 we are witnessing declining fish population. Kuskokwim
30 chinooks are fighting for survival and we see this
31 through science and Native knowledge. These chinooks
32 give themselves to Federally qualified users so they can
33 survive and feed their families.

34
35 This is a historical circle. A
36 connection that has been shared for thousands of
37 generations. We need to show the chinook and Federally
38 qualified users the greatest amount of respect and
39 honor the proposals put forth today. It is too soon to
40 open the opportunity which should close Federally
41 public waters of the Kuskokwim River Drainage to the
42 harvest of chinook salmon except by Federally qualified
43 subsistence users.

44
45 I support all Fishery Special Action
46 Requests FSA20-01, 02, 03 because they honor the
47 chinook and the Kuskokwim Federally qualified users.
48 We need to support our Kuskokwim Federally qualified
49 user and their food security issue because they are the
50

1 ones who have sacrificed so much to honor these chinook
2 salmon.

3

4 In closing, I would like thank you
5 Chairman and members of the Board and Staff for
6 listening to my testimony.

7

8 Thank you.

9

10 CHAIRMAN CHRISTIANSON: Thank you for
11 calling in today. Any questions from the board?

12

13 (No comment)

14

15 CHAIRMAN CHRISTIANSON: All right.
16 Hearing none. The best to you. Operator, is there
17 anybody else that would like to be recognized.

18

19 OPERATOR: Thank you, sir. The next
20 comes from Brooke Woods. Your line is open.

21

22 MS. WOODS: Good afternoon. Can you
23 hear me?

24

25 CHAIRMAN CHRISTIANSON: Yes, Brooke,
26 you have the floor.

27

28 MS. WOODS: Hi my name is Brooke Woods.
29 I am from Rampart, Alaska on the Yukon River. I'm a
30 fisheries science student at University of Alaska
31 Fairbanks raising five kids and working for TCC Hunting
32 and Fishing Task Force. I also serve as a chair for the
33 Yukon River Intertribal Fish Commissions and it is my
34 responsibility to testify in support of all three
35 Fisheries Special Action for our TCC tribe and our
36 relatives along the Kuskokwim River.

37

38 The Tanana Chiefs Conference is an
39 Alaska Native non-profit corporation charged with
40 advancing tribal self-determination and enhancing
41 regional Native unity. Our region covers an area of 37
42 percent of the entire state with six subregions, one
43 being the Upper Kuskokwim Subregion. That includes the
44 villages of McGrath, Medfra, Nikolai, Takotna, and
45 Telida.

46

47 The Kuskokwim River tribes request to
48 maintain the Federal closure to all but Federally
49 qualified users for chinook salmon fishing for the

50

1 conservation and priority consumptive use under the
2 provision of Title VIII, Section 804 of ANILCA by
3 closing Federally public waters of the Kuskokwim River
4 for harvest of chinook salmon by Federally qualified
5 subsistence users at the beginning of the 2020 salmon
6 run.

7
8 Chinook salmon are not yet recovered.
9 Returns from 2011 through 2018 has been very low.
10 Tribes need the ability to have conservation measures
11 in place to rebuild the stocks. Tribes understand and
12 see firsthand threats to the recovery of chinook
13 salmon. Local observations have seen a reduction in
14 body size of chinook salmon and don't want to see
15 threats to stop diversity, a foundation of sustainable
16 and resilient resource management.

17
18 This information comes from a paper by
19 Conners, et al, which identifies several Kuskokwim
20 chinook salmon substocks that currently less productive
21 and are at risk of unintentional overharvest under
22 higher exploitation rates within the mainstem of mixed
23 stock fisheries. This paper also states the harvest
24 policies focused on meeting minimum subsistence needs
25 are unlikely to jeopardize long term perspectives for
26 basin-wide sustainable use.

27
28 These are important factors and reasons
29 to maintain the Federal closures to all but Federally
30 qualified users for chinook salmon fishing. Tribes are
31 experiencing and adapting to the impacts and
32 unpredictability of climate change on migrating salmon
33 harvesting and processing.

34
35 Although the State's forecast is
36 exceedingly high, tribes seek to continue conservation
37 measures through the provisions of Title VIII, Section
38 804 of ANILCA. Turning management over to the State
39 would be detrimental to the five years of
40 accomplishments done by the tribes. Subsistence
41 priority under ANILCA are provisions the State are
42 unable to manage by and I say that very respectfully.

43
44 The Special Actions provide for
45 equitable distribution of the salmon and allow for
46 salmon to make it to the headwaters. Getting salmon to
47 the headwaters is essential for the tribes along the
48 Kuskokwim for today's fishermen and women and the next
49 generation. Please allow the run to rebuild while
50

1 meeting the needs of the Federally qualified users.

2

3 There is research, scientific resources
4 being incorporated into indigenous knowledge and ways
5 of life, which is best for the health of the salmon and
6 the people. This opportunity provides for food
7 security and food sovereignty. The Inuit-Circumpolar
8 Council defines food security as the right of Alaskan
9 Inuit to define their own hunting, gathering, and
10 fishing lands and water policies. The right to define
11 what is sustainable socially, economically and
12 culturally appropriate for the distribution of food and
13 to maintain ecological health. The right to obtain and
14 maintain practices that enter access to tools needed to
15 obtain, process, store and consume traditional foods.

16

17 Furthermore, Congress has recognized
18 the rights of tribes to have the greater say over the
19 development and implementation of Federal programs and
20 policies that directly impact on them and their tribal
21 members. It did so by enacting two major pieces of
22 legislation that together embodied the importance of
23 concepts of tribal self-determination and
24 self-governance.

25

26 Through these laws Congress accorded
27 tribal governments the authority to administer
28 themselves programs and services usually administered
29 by the BIA for their tribal members. It also upholds
30 the principles of tribal consultation whereby the
31 Federal government consults with tribes on Federal
32 actions, policies, rules or regulations that will
33 directly affect them. This information can be found on
34 the U.S. Department of Interior Indian Affairs website.

35

36 Today I ask the Federal Subsistence
37 Board to support these three Fisheries Special Actions.
38 Baasee'. Thank you for the work that you do and
39 baasee' to those Kuskokwim tribes for submitting these
40 invaluable requests for all those who depend on this
41 precious salmon run that sustained our people for
42 thousands and thousands of years.

43

44 Thank you so much for letting me
45 testify today.

46

47 CHAIRMAN CHRISTIANSON: Thank you. Any
48 questions from the Board?

49

50

1 (No comments)

2

3 CHAIRMAN CHRISTIANSON: All right.
4 Appreciate you taking the time to call in today.
5 Operator, is there anybody else online who would like
6 to be recognized?

7

8 OPERATOR: Thank you, sir. The next
9 comes from Jonathan Samuelson. Your line is open.

10

11 MR. SAMUELSON: Thank you. Can you
12 hear me?

13

14 CHAIRMAN CHRISTIANSON: Yes. You have
15 the floor.

16

17 MR. SAMUELSON: Thank you. My name is
18 Jonathan Samuelson. I was raised in Bethel. I grew up
19 in McGrath on the Kuskokwim. As a product of the
20 river, I'd like to take a moment to thank you for
21 honoring Ray Collins and his legacy today. We will
22 feel his void for a very long time. I will make sure,
23 as I'm sure Kevin will who spoke earlier, to let his
24 family know that we are all thinking of them during
25 this time. His words and his advocacy will echo
26 through our voice and through our work for many years
27 to come.

28

29 I am a tribal citizen of the Native
30 Village of Georgetown, which is smack dab in the middle
31 of the Kuskokwim. My family spans the entire river.
32 We have been taking care of the salmon and fishing from
33 this river for generations. I am the appointed
34 commissioner to the Kuskokwim River Inter-Tribal Fish
35 Commission for the Native Village of Georgetown,
36 although I represent just myself today. I share that
37 with you to express my familiarity with the history and
38 issues before us.

39

40 Our tribal citizenship also spans the
41 entire river as we have members from our tribe from the
42 headwaters down to Bethel and beyond. We have
43 stewarded fish in all parts of the river and across any
44 and all jurisdictional boundaries. I speak in the best
45 interests of all of our citizens and all of my family.

46

47 We know that there is -- nobody thinks
48 that the run is rebuilt at this point. We know that.
49 We are still in a conservation mode, but we've moved

50

1 beyond that I feel like on the river. As long time
2 stewards of the run we are operating under a mindset of
3 rebuilding the stock of the run and maintaining stock
4 diversity.

5
6 I'm speaking today in favor of all
7 three Special Actions for many of the reasons that have
8 been shared by people before me. We have heard numbers
9 and the science that supports all of the Special
10 Actions, but for us there's more to it than just
11 numbers. We have a deep spiritual relationship with
12 these salmon and that is part of their responsibility
13 of management is to make sure that those relationships
14 are kept intact.

15
16 We've heard the State's forecast. We
17 know that that forecast can be up to 100,000 fish off.
18 It happened last year. We lucked out that it was
19 100,000 fish in the positive. Had it gone the other
20 way things would have been very very devastating and we
21 would be telling a different story this year.

22
23 It is difficult for us to look in the
24 freezer and decide whether or not we can eat chinook
25 today, whether or not there's chinook in that freezer,
26 to open the cupboard and count jars, to wonder if our
27 aunts have enough to get through the winter, do our
28 grandmas have enough. To decline the opportunity to
29 share with people, which is a huge part of our culture,
30 because we're not able to meet those needs.

31
32 There's just too much uncertainty in
33 the management by an agency that can't provide security
34 and assurance that local needs are being met. Our
35 river is currently flooding as we speak. Houses are
36 being lost and damaged. Today is a little hectic in my
37 brain, so I apologize for not having my thoughts all in
38 a row.

39
40 I've heard from this Board that
41 decisions should be left to the local and should be
42 made on the river. Supporting these Special Actions is
43 the best way to assure that that process could take
44 place.

45
46 I'd like to end my comments with that.

47
48 Thank you.

49
50

1 CHAIRMAN CHRISTIANSON: Thank you.
2 Thank you for taking the time to call in today.
3 Questions from the Board.

4
5 (No comments)

6
7 CHAIRMAN CHRISTIANSON: All right.
8 Appreciate that. And the best to you. Operator, does
9 that conclude public testimony today?

10
11 OPERATOR: Thank you, sir.

12
13 CHAIRMAN CHRISTIANSON: All right.
14 That concludes the public testimony today for this
15 Special Action Request that we have before us. With
16 that I'll open up the floor for Board discussion. Any
17 questions for Staff.

18
19 (No comments)

20
21
22 CHAIRMAN CHRISTIANSON: All right.
23 Hearing no Board discussion or questions on that I'm
24 going to open up the floor for Board action on this
25 Special Action Request.

26
27 MR. SIEKANIEC: Mr. Chair. Greg with
28 the Fish and Wildlife Service.

29
30 CHAIRMAN CHRISTIANSON: Yes, Greg, you
31 have the floor.

32
33 MR. SIEKANIEC: Thank you, Mr. Chair.
34 For starters I'd like to thank everyone for the
35 testimony that's been provided and the public input and
36 the work of all the scientists and the relationships of
37 folks out on the Kuskokwim River.

38
39 Mr. Chair and Board members, I move to
40 approve FSA20-03 and take no action on FSA20-01 and
41 FSA20-02. If I get a second, I will provide my
42 justification to oppose my motion.

43
44 MR. PELTOLA: Second. BIA.

45
46 MR. SIEKANIEC: Thank you, Gene. The
47 OSM analysis provided a comprehensive review of the
48 science used by biologists and managers to model
49 pre-season forecast and inform the management of the
50

1 Kuskokwim River fishery.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

The Kuskokwim River fishery is a dynamic and complicated system and that is demonstrated by both today's and previous years discussions and the testimony that we hear. We need to base our Board decision on the best available science and within the context of meeting conservation concerns and providing for the continuance of subsistence uses.

The OSM analysis and the ISC comments identify that Federal management of the river I believe is not warranted to support healthy populations of chinook salmon and to provide for the continuance of subsistence needs.

If the preseason run materializes as predicted, escapement goals of 65,000 to 110,000 should be met or exceeded and historic harvest levels of up to 110,000 fish may be achieved without jeopardizing the health of chinook salmon populations.

The State has indicated that it plans to follow the precautionary model from 2019 and that is to repeat a (phone cutout) with identical weekly harvest opportunities. After June 11 the Alaska Department of Fish and Game will work with the Federal in-season manager, Kuskokwim River Inter-Tribal Fish Commission and other stakeholders to determine when harvest opportunities should be provided.

Closing the Kuskokwim drainage to only Federally qualified users on June 1 would be an unnecessary restriction to non-subsistence users. The number of non-subsistence users that would fish for chinook salmon if open for all users under State management is frankly unknown, but it's likely low given the travel and the COVID-19 issues associated with rural communities.

Historic harvest records indicate that when all users were allowed to harvest and when there were no restrictions to harvest methods and timing the maximum harvest ever documented was 110,000 chinook salmon.

Given the implementation of the precautionary measures of a front-end closure, restrictions to 6-inch mesh nets and probable windowed

1 openings, it is unlikely that 110,000 chinook could be
2 harvested, resulting in more escapement.

3
4 The declines in escapement quality is
5 not specific to the Kuskokwim River. It is occurring
6 among most Alaska stocks. Based on an escapement
7 quality report by the Arctic Yukon Kuskokwim
8 Sustainable Salmon Initiative, as long as 6-inch or
9 less mesh gear is utilized for the 2020 season and
10 beyond, the need to escape more fish is not necessary
11 to resolve chinook salmon escapement quality issues.

12
13 Similarly, salmon stock diversity is
14 also a recent area of interest by many researchers.
15 Recent research on stock diversity by Braden Conners,
16 as highlighted in the OSM analysis, indicates that
17 stock diversity issues are minimal as long as harvest
18 goals do not exceed 150,000 chinook salmon.

19
20 Additionally, current management
21 actions for the Kuskokwim with the front-end closures
22 and closure of harvest on salmon-bearing tributaries
23 further address and protect stock diversity.

24
25 A concern regarding forecast is
26 important as some forecasts show larger potential
27 ranges than others. Despite these forecasts having
28 larger ranges they seem to have a similar story. All
29 forecasts have midpoints, about 200,000 chinook salmon.

30
31
32 The larger minimal forecast also
33 indicated that it is very unlikely, perhaps less than 5
34 percent change, that run abundance in 2020 will return
35 to run abundance levels experienced between 2010 and
36 2018 or less than 135,000 chinook salmon. This
37 certainly provides me confidence in the current
38 preseason forecast.

39
40 The managers and users will have
41 resource information to determine if the run is coming
42 in as projected. Resources include the sonar, Bethel
43 Test Fishery and harvest fish subsistence opportunities
44 themselves and the high degree of communications along
45 the river. If all of these sources indicate a small
46 chinook salmon run, the Refuge Manager, as the
47 In-season Manager, can close the fishery out of an
48 abundance of caution.

49
50

1 The established cooperative working
2 groups that have been successfully formulated between
3 State, Federal, Tribal and other user groups will
4 continue to cooperate and provide the essential input
5 needed to provide for subsistence harvest while
6 maintaining healthy chinook salmon populations.
7

8 The Board has delegated the authority
9 to the Yukon National Wildlife Refuge Manager to issue
10 emergency closures when warranted. The Yukon Delta
11 National Wildlife Refuge Manager (muffled) will
12 continue to coordinate with the Kuskokwim River
13 Inter-Tribal Fish Commission, Regional Advisory
14 Councils, Alaska Department of Fish and Game, Kuskokwim
15 River Salmon Working Group and others as needed to
16 ensure the collaborative decision-making continues
17 throughout the season.
18

19 In closing, if there's strong evidence
20 to support conservation concerns, I also believe the
21 Office of Subsistence Management would have supported
22 the Special Actions requesting Federal management.
23

24 I believe that one thing is certain, it
25 takes a strong cooperative relationship among the
26 subsistence users, the working groups, State Fish and
27 Game, the Federal In-season Manager and Refuge Staff at
28 the Yukon Delta National Wildlife Refuge. As you
29 already heard, the decision is being made as close to
30 the resource as possible.
31

32 Thank you, Mr. Chair.
33

34 CHAIRMAN CHRISTIANSON: Thank you,
35 Greg. With that I'll open up the floor for Board
36 discussion.
37

38 MR. PELTOLA: Mr. Chair. BIA.
39

40 CHAIRMAN CHRISTIANSON: Gene, you have
41 the floor.
42

43 MR. PELTOLA: Thank you, Mr. Chair.
44 Based on the motion I'd like to address a couple
45 points. One, I don't feel that it was a complete and
46 comprehensive review in the analysis. Significant
47 aspects of it were not addressed as identified earlier
48 on.
49

50

1 The best available science may or may
2 not be utilized, although the forecast that we have
3 been utilizing have missed the mark by up to 100,000
4 fish.

5
6 As for State management, I am not
7 against State management, although the scenarios that
8 have presented show that there would and will most
9 likely be restrictions on harvest. Therefore, the
10 Federal Subsistence Program should provide for the
11 rural preference and the priority consumptive use.
12 This can only be assured via Board action by limiting
13 the harvest of Federally qualified users.

14
15 I've heard numerous mentions of if the
16 run progresses to be not as strong as forecasted or
17 comes in weak, that in-season management action can be
18 taken and to date that has not been expressed by the
19 in-season manager outside of the initial action by the
20 Federal Subsistence Board to initiate a fishery for
21 Federally qualified users only.

22
23 Thank you, Mr. Chair.

24
25 CHAIRMAN CHRISTIANSON: Thank you,
26 Gene. Any other Board discussion.

27
28 MS. PITKA: This is Rhonda Pitka.

29
30 CHAIRMAN CHRISTIANSON: Yes, Rhonda,
31 you have the floor.

32
33 MS. PITKA: I would like to amend the
34 motion to support FSA20-01 and 20-02 also. Thank you.

35
36 CHAIRMAN CHRISTIANSON: You want to
37 make a motion to amend the original motion?

38
39 MS. PITKA: Yes.

40
41 CHAIRMAN CHRISTIANSON: What would that
42 amendment be, Rhonda?

43
44 MS. PITKA: The amendment would be to
45 support FSA20-01 and 20-02 also, in addition to
46 supporting 20-03. Thank you.

47
48 MR. PELTOLA: Mr. Chair. Can I ask a
49 clarifying question.

50

1 CHAIRMAN CHRISTIANSON: Yes, go ahead,
2 Gene.

3
4 MR. PELTOLA: Thank you, Mr. Chair.
5 Rhonda, your motion was to support Fisheries Special
6 Action 01 and 02 as well. In 01 and 02 they call for
7 Federal management starting June 1st and FSA20-03 calls
8 for it at the beginning of the run. How would you
9 rectify that discrepancy between the two dates?

10
11 MS. PITKA: I think we heard last year
12 and this year that they want Federal management of the
13 run early.

14
15 MR. PELTOLA: Yeah, I understand that,
16 but if we -- I am about to make a second to your
17 amendment although we'd have to work out the difference
18 between FSA20-03 which says at the beginning of the
19 run, i.e. when king salmon show up, versus the firm
20 dates in 01 and 02 which is June 1st.

21
22 Thank you, Mr. Chair.

23
24 CHAIRMAN CHRISTIANSON: Rhonda, as he's
25 saying, he wants to make a second to your motion, but
26 how would we take care of the discrepancy between those
27 two dates there to support it because they would be
28 different. I take it the king show up somewhere around
29 mid June.

30
31 MS. PITKA: I believe the language said
32 the beginning of the run or June 1st, whichever was
33 earliest, is that correct or did I read that
34 incorrectly?

35
36 MR. PELTOLA: Even if it is incorrect,
37 I could live with that statement.

38
39 CHAIRMAN CHRISTIANSON: I think you
40 answered the question, Rhonda. June 1st or whichever
41 is earlier.

42
43 MR. PELTOLA: Second the amendment.
44 BIA.

45
46 CHAIRMAN CHRISTIANSON: There's an
47 amendment to the original motion to support the Special
48 Action Request. Now there is a motion on the floor to
49 amend it to include the other two Special Action
50

1 Requests with a date to be June 1 or when the first
2 king arrives to make it a Federally managed fishery.
3 That's the motion on the floor now to amend the
4 original motion.

5

6 Any discussion from the Board.

7

8 (No comments)

9

10 CHAIRMAN CHRISTIANSON: Hearing no
11 discussion. We'll call for a question on the
12 amendment.

13

14 MR. PELTOLA: Question. BIA.

15

16 CHAIRMAN CHRISTIANSON: The question
17 has been called. Roll call, Tom, please, on the
18 amendment to the original motion.

19

20 MR. DOOLITTLE: Mr. Chair. This is
21 Fisheries Special Action 20-01, 02, 03 amendment to the
22 original motion provided by Fish and Wildlife Service.
23 The vote on this amendment is to support Fisheries
24 Special Action 20-01 and FSA20-02 in addition to
25 FSA20-03 with Federal management starting the beginning
26 of the run or June 1, whichever is earlier.

27

28 I will start with Bureau of Indian
29 Affairs on this amendment for a vote.

30

31 MR. PELTOLA: Support.

32

33 MR. DOOLITTLE: Gene is support.

34

35 Rhonda Pitka.

36

37 MS. PITKA: Support.

38

39 MR. DOOLITTLE: Is Public Member Brower
40 with us?

41

42 (No response)

43

44 MR. DOOLITTLE: No Public Member
45 Brower.

46

47 National Park Service, Joshua Ream.

48

49 MR. REAM: The Park Service supports

50

1 the amendment to the motion.

2

3 MR. DOOLITTLE: Thank you, Josh.

4

5 U.S. Forest Service, David Schmid.

6

7 MR. SCHMID: Yeah, Forest Service also
8 supports the amendment to the original motion.

9

10 MR. DOOLITTLE: Thank you, Dave.

11

12 BLM, Chad Padgett.

13

14 MR. PADGETT: I'll support as well.

15 Thanks, Tom.

16

17 MR. DOOLITTLE: You bet, Chad.

18

19 U.S. Fish and Wildlife Service, Greg

20 Siekaniec.

21

22 MR. SIEKANIEC: Thank you, Tom. I
23 oppose.

24

25 MR. DOOLITTLE: Thank you, Greg.
26 Chairman Christianson.

27

28 CHAIRMAN CHRISTIANSON: I support.

29

30 MR. DOOLITTLE: The amendment passes.

31

32 CHAIRMAN CHRISTIANSON: All right.
33 That will bring us back to the original motion now
34 amended. So if you want to read that back to me, Tom,
35 please.

36

37 MR. DOOLITTLE: Right. The Fish and
38 Wildlife Service moved to approve Fisheries Special
39 Action 20-03 and take no action on FSA20-01. The
40 approved amendment is to support FSA20-01, 20-02 in
41 addition to FSA20-03 with Federal management starting
42 at the beginning of the run or June 1, whichever is
43 earlier.

44

45 CHAIRMAN CHRISTIANSON: Thank you. I
46 would now open up the floor for any further Board
47 discussion or deliberation on the motion.

48

49 (No comments)

50

1 CHAIRMAN CHRISTIANSON: Hearing none.
2 We'll call for the question.

3
4 MR. PELTOLA: Question.

5
6 CHAIRMAN CHRISTIANSON: The question
7 has been called. Roll call, Tom, please.

8
9 MR. DOOLITTLE: This is the amended
10 original motion from the Fish and Wildlife Service to
11 approve FSA20-03 and take no action on FSA20-01 and
12 FSA20-02. Now combined as amended in support of
13 FSA20-01 and FSA20-02 in addition to FSA20-03 with
14 Federal management starting the beginning of the run or
15 June 1, whichever is earlier.

16
17 Rhonda Pitka.

18
19 MS. PITKA: Support.

20
21 MR. DOOLITTLE: Thank you, Rhonda.

22
23 Bureau of Indian Affairs, Gene Peltola.

24
25 MR. PELTOLA: BIA supports for our
26 previously articulated reasons based on the original
27 motion in addition to deference to the Western Interior
28 and Yukon Delta RACs.

29
30 Thank you, Mr. Chair.

31
32 MR. DOOLITTLE: Thank you, Gene.

33
34 National Park Service, Joshua Ream.

35
36 MR. REAM: Thank you. The National
37 Park Service votes to support the motion to adopt
38 Fisheries Special Action FSA20-01, 02 and 03. To close
39 the Kuskokwim River to chinook salmon harvest by
40 non-Federally qualified users for the 2020 season until
41 such time that in-season indicators suggest that
42 escapement goals and harvest needs will be met or
43 exceeded.

44
45 We appreciate the development of more
46 accurate models to predict run size and while we hope
47 the predictions for a strong run in 2020 hold true, a
48 precautionary approach is warranted given that there
49 has only been a single year of strong returns among the
50

1 past nine. Other stressors on the population are cause
2 for concern as is the maintenance of stock diversity.

3
4 Additionally, a trend towards smaller
5 fish has implications for productivity, but also
6 requires greater effort to meet subsistence needs. We
7 therefore believe that there are continuing concerns
8 for those conservation of the species and the
9 continuation of subsistence uses.

10
11 Restrictions to Federally qualified
12 subsistence users, including the 804 subsistence user
13 prioritization, should be lifted prior to the fishery
14 being opened to all users.

15
16 The National Park Service supports the
17 existing delegation of authority to allow the Refuge
18 Manager to open the fishery if conditions allow and we
19 echo the need for the long anticipated management plan
20 to be completed in coordination with the Kuskokwim
21 River Inter-Tribal Fish Commission and other partners,
22 thus providing guidance in the form of thresholds that
23 can be used for in-season management.

24
25 Thank you, Mr. Chair.

26
27 MR. DOOLITTLE: Thank you, Dr. Ream.

28
29 U.S. Forest Service, David Schmid.

30
31 MR. SCHMID: Yeah, the Forest Service
32 is also going to support and as extremely
33 well-articulated by the National Park Service, I won't
34 repeat most of that, other than I would also support
35 listening and hearing from what I heard was widespread
36 support throughout the area including the
37 Yukon-Kuskokwim Delta RAC and the Western Interior RAC
38 and the Kuskokwim Inter-Tribal Fish Commission that
39 does represent over 30 Federally recognized tribes.

40
41 Thank you.

42
43 MR. DOOLITTLE: Thank you, Dave.

44
45 Bureau of Land Management, Chad
46 Padgett.

47
48 MR. PADGETT: I'm going to oppose based
49 on the previous justifications provided by the Fish and
50

1 Wildlife Service.

2

3 Thank you.

4

5 MR. DOOLITTLE: Thank you, Chad.

6

7 U.S. Fish and Wildlife Service, Greg
8 Siekaniec.

9

10 MR. SIEKANIEC: Thank you, Tom. I
11 oppose based on the justification I provided. Thank
12 you.

13

14 MR. DOOLITTLE: Double checking to see
15 if Public Member Charlie Brower is available.

16

17 (No response)

18

19 MR. DOOLITTLE: Hearing no answer from
20 Mr. Brower.

21

22 The last vote is Chairman Anthony
23 Christianson.

24

25 CHAIRMAN CHRISTIANSON: I support the
26 Special Action Request in deference to the Regional
27 Advisory Council and all the public participation
28 today. Thank you.

29

30 MR. DOOLITTLE: Thank you, Chairman
31 Christianson. The motion passes with the amendment.
32 The next order of business, Mr. Chair, would be the
33 adjournment of this meeting.

34

35 MR. SIEKANIEC: So moved.

36

37 MR. PELTOLA: Second.

38

39 MR. DOOLITTLE: One second. I'm
40 getting notified that we just lost some connections.
41 Rhonda, you've been asked to be Vice Chair with making
42 a motion to adjourn. We should probably take roll call
43 on that just to be sure.

44

45 ACTING CHAIR PITKA: On a motion to
46 adjourn? Hello?

47

48 MR. DOOLITTLE: Hi, Rhonda.

49

50

1 ACTING CHAIR PITKA: Okay. I will take
2 a roll call on the motion to adjourn then.

3
4 MR. DOOLITTLE: Okay. Joshua Ream, to
5 adjourn.

6
7 MR. REAM: Support.

8
9 MR. DOOLITTLE: BLM, Chad Padgett.

10
11 MR. PADGETT: Support.

12
13 MR. DOOLITTLE: U.S. Fish and Wildlife
14 Service, Greg Siekaniec.

15
16 MR. SIEKANIEC: I support. Thank you,
17 Tom.

18
19 MR. DOOLITTLE: You bet, Greg.

20
21 U.S. Forest Service, Dave Schmid.

22
23 MR. SCHMID: I support adjournment and
24 have a good weekend.

25
26 MR. DOOLITTLE: You too, Dave.

27
28 Bureau of Indian Affairs, Gene Peltola.

29
30 MR. PELTOLA: Support. Stay healthy
31 and safe all.

32
33 MR. DOOLITTLE: Thanks, Gene.

34
35 Rhonda Pitka.

36
37 ACTING CHAIR PITKA: Support and have a
38 good weekend everybody.

39
40 MR. DOOLITTLE: Sounds good. Is Tony
41 Christianson back on.

42
43 (No response)

44
45 MR. DOOLITTLE: With Tony not on we
46 still have a quorum to adjourn. Thank you very much
47 Board members and all the people out there. Goodbye.

48
49 (END OF PROCEEDINGS)

50

